

OPUS2

Manchester Arena Inquiry

Day 110

May 26, 2021

Opus 2 - Official Court Reporters

Phone: +44 (0)20 3008 5900

Email: transcripts@opus2.com

Website: <https://www.opus2.com>

1 Wednesday, 26 May 2021
 2 (9.30 am)
 3 MR PATRICK ENNIS (continued)
 4 SIR JOHN SAUNDERS: Mr Greaney.
 5 MR GREANEY: Sir, good morning. First today, Mr Atkinson on
 6 behalf of the families.
 7 Questions from MR ATKINSON
 8 MR ATKINSON: Good morning, Mr Ennis. I ask some further
 9 questions on behalf of the bereaved families. I won't
 10 be long.
 11 Mr Lopez, could we have {INQ013163/1}. Is this
 12 right, Mr Ennis, is this the version of the major
 13 incident plan that you would have had with you on the
 14 day?
 15 A. I believe so, sir, yes.
 16 Q. We can see the top of the page, under the row of images,
 17 the motto, I guess, of North West Ambulance Service:
 18 "Delivering the right care, at the right time,
 19 in the right place."
 20 A. Yes.
 21 Q. That really is what this major incident plan in its
 22 various forms was designed to achieve, wasn't it?
 23 A. Yes. Delivering the right care at the right time in the
 24 right place is, or was, the NWAS vision and values
 25 at the time. But that's also applicable to this major

1

1 incident plan as well, yes.
 2 Q. Because moving beyond a vision, the plan, the actions of
 3 those guiding the execution of that plan, was designed
 4 to make that a reality, wasn't it, that the right care
 5 was delivered at the right time and in the right place
 6 to those who needed it desperately?
 7 A. Yes.
 8 Q. And so assessing -- in a situation where speed was of
 9 the essence to get the right care to those people?
 10 A. Yes.
 11 Q. If we could go on to {INQ13163/11}, please, Mr Lopez.
 12 This was the action card that applied to you. Not
 13 wanting to get sort of hidebound between whether you
 14 should or should not have assumed the acting operational
 15 commander role, was the reality that if Mr Smith hadn't
 16 arrived, you would have done, he arrived and so he did?
 17 A. Yes.
 18 Q. But really, the aim was, is this right, between you to
 19 ensure that these important things were done?
 20 A. Yes.
 21 Q. As a part of getting the right care to the right people
 22 at the right time?
 23 A. Yes.
 24 Q. We can see under 4(a):
 25 "Liaise with police and Fire and Rescue Services,

2

1 establishing the nature of the incident and possible
 2 hazards."
 3 In fairness to you, Mr Ennis, you did do that so far
 4 as the police were concerned because you spoke to them.
 5 A. Yes.
 6 Q. Both Inspector Smith, on the unarmed side, and also the
 7 armed officers who were in the City Room?
 8 A. Yes, they were, yes.
 9 Q. Giving you an appreciation, is this right, of the
 10 possible hazards?
 11 A. Yes.
 12 Q. In terms of the risks of working in that area --
 13 A. Yes.
 14 Q. -- on the one hand and the need for people to work in
 15 the area on the other?
 16 A. Yes. I think that's fair to say from within the police,
 17 but from different branches of the police.
 18 Q. Because as you told us, your reasoning in going up to
 19 the City Room rather than stopping when you arrived
 20 outside the station and delivering a METHANE from there
 21 was to get that greater sense of situational awareness
 22 that going to the room would give you?
 23 A. Yes.
 24 Q. And it was an advantage you had over Dan Smith that you
 25 had been into the room and seen for yourself what needed

3

1 to be done?
 2 A. Yes.
 3 Q. And the challenges that that was going to pose?
 4 A. Yes.
 5 Q. We can see (b):
 6 "Assessing the scene, determining if it was safe to
 7 enter and then sending a METHANE report."
 8 In terms of determining whether it was safe to
 9 enter, you had the information from the various arms of
 10 the police as to their assessment of it, and you could
 11 see that others were there and were doing their best?
 12 A. Yes.
 13 Q. And you could see that more was needed?
 14 A. Yes.
 15 Q. This was not a situation where you could just leave it
 16 to them, was it?
 17 A. Sorry, when you say leave it to them?
 18 Q. You couldn't just say: well, I can see that there are
 19 ShowSec, ETUK, police, members of the public, doing
 20 their best in here, so NWAS can just go home?
 21 A. No, of course not, no.
 22 Q. On the contrary, this was a situation for which NWAS had
 23 the staff who were trained to make a difference?
 24 A. Yes.
 25 Q. And that included you?

4

1 A. Yes.
 2 Q. In terms of the METHANE, your attention was already
 3 directed to the E at the end of METHANE, identifying
 4 whether other emergency services are on scene and what
 5 further resources are required. If we can go down,
 6 I think it's the top of the next page, Mr Lopez,
 7 {INQ013163/12}, to (c):
 8 "Ascertain the requirement for specialist teams."
 9 Amongst which is identified HART. So both through
 10 the METHANE and as part of what the first personnel on
 11 scene are meant to do, it's identifying, "Do we need
 12 specialist teams?" And this was a situation, is this
 13 right, where you understood from the armed officers that
 14 there was a concern about safety in relation to this
 15 area and so this was a location for which HART was
 16 trained and indeed HART was designed?
 17 A. Yes.
 18 Q. So the clear message to you from that scene and your
 19 awareness of it was that HART need to be here?
 20 A. Yes. This is true, yes.
 21 Q. Meaning more than two?
 22 A. Um... Well, I mean, my knowledge of the HART team
 23 is that they work as a team of six. But my knowledge of
 24 the HART team and what they were already doing that
 25 night was that they were already tasked to an incident,

5

1 so I was quite aware that they would be travelling in
 2 separate vehicles, travelling a distance, and they would
 3 need to or potentially would be leaving the scene of the
 4 incident they were tasked to at different times. So it
 5 wasn't unusual that they came initially as a team of
 6 two.
 7 Q. But understanding all of that, you were in the
 8 City Room, it was beyond your control what time other
 9 people were going to arrive?
 10 A. Yes.
 11 Q. But what this is envisaging is not you magicking them
 12 up, it is you identifying that they need to be there?
 13 A. Yes.
 14 Q. And that's the message that needed to go out, wasn't it:
 15 as soon as they can be here, we need them here?
 16 A. Yes. I agree with you, I think the HART team were
 17 certainly required in that area. I can't recall
 18 specifically at what point I was aware that the
 19 HART team were being tasked to that area. I don't
 20 remember specifically requesting that, but I believe it
 21 was part of the discussion with Dan Smith that it was
 22 mentioned that the HART team were en route.
 23 Q. Because if you and Mr Smith were being guided by this,
 24 and these instructions, which you should have been,
 25 shouldn't you, because that's what they're there for,

6

1 then identifying the specialist teams who need to be
 2 there is part of that, inevitably part of that
 3 conversation, isn't it?
 4 A. Yes, it is. One of the teams that's mentioned is the
 5 MERIT team. That was something that had already been
 6 mentioned that they'd been tasked there. So yes, that
 7 was something that had come up so I didn't need to ask
 8 for that because that was already being arranged.
 9 SIR JOHN SAUNDERS: It's important for me to be able to
 10 distinguish in your evidence what you were thinking
 11 at the time and what you have learned subsequently.
 12 It's quite difficult to do, to disentangle it. Are you
 13 saying it was actually part of your thought process
 14 at the time, "I know the HART teams are tied up
 15 elsewhere", or is that something that you realised
 16 afterwards?
 17 A. No, it was something I was aware of at the time because,
 18 before I responded to the incident, I was aware of the
 19 incidents that were ongoing in Manchester and I was
 20 aware that the HART team were already on an incident
 21 in the Stockport area. So at the time I responded,
 22 I was aware that the HART team may be required but that
 23 they wouldn't be travelling from their usual location
 24 and could be delayed as a result of this.
 25 SIR JOHN SAUNDERS: So you actually thought of that as you

7

1 were on your way?
 2 A. I can't recall at what specific point but I was aware of
 3 them as a resource and the fact that they were already
 4 tasked —
 5 SIR JOHN SAUNDERS: As you're looking at the scene in the
 6 City Room, you may be thinking to yourself, "This is
 7 a situation for the HART team but actually how long will
 8 it take for them to get here", so you're having to think
 9 of alternatives?
 10 A. Um... It ... Obviously I can't ... I don't think
 11 there's a mention in any of the transcripts of me
 12 requesting the HART team, so I'm assuming that I didn't.
 13 I was aware that as part of the emergency operations
 14 centre plan and predetermined attendance — although
 15 obviously it specifically mentions that they need to be
 16 thought about and requested — I was aware that they
 17 were part of the predetermined attendance. We also have
 18 two HART teams, so I was aware that if for whatever
 19 reason the Manchester one was unavailable, there is
 20 a second one.
 21 SIR JOHN SAUNDERS: Okay. I'll leave Mr Atkinson to carry
 22 on and I will come back to this at some stage.
 23 MR ATKINSON: Just again, Mr Ennis, we appreciate that this
 24 wasn't just a decision for you as to who went in, but
 25 the whole point of Mr Smith taking on his role was to

8

1 identify what resources needed to be there, of which you
 2 were one. But given that, on what you're telling us,
 3 you knew, first, this was a situation for HART and,
 4 second, that they weren't there yet, what did you and
 5 Mr Smith identify as to the solution in the meantime,
 6 given that you needed to get to the right place at the
 7 right time, providing the right care?
 8 A. There wasn't a conversation about finding an interim
 9 solution.
 10 Q. Why not?
 11 A. I don't know. At the time that I -- after the meeting
 12 with Mr Smith, that I went back into the City Room,
 13 until the HART team arrived, I was entirely occupied
 14 with the role that I was undertaking and whilst there
 15 were ambulances arriving at that location at the time,
 16 I was waiting and expecting the HART team to arrive
 17 behind me.
 18 Q. And you had your radio with you?
 19 A. Yes.
 20 Q. At any point did you call down to Mr Smith or a control
 21 room to say, "Where are the HART team, we need them
 22 now"?
 23 A. No, I don't believe I did.
 24 Q. Because you did need them, didn't you?
 25 A. Yes, I did need them.

9

1 Q. In terms of alternatives, it was your assessment,
 2 speaking for yourself, that it was safe enough for you
 3 to go back in and to carry on doing your job, wasn't it?
 4 A. Yes.
 5 Q. Did you make that clear to Mr Smith, Dan Smith?
 6 A. I believe I made it clear to Mr Smith that it hadn't
 7 been declared safe up there. I passed the information
 8 that I had been given at the time, which was still that
 9 we believed there'd been an explosion but people had
 10 reported gunshots or having been shot, that I was happy
 11 to self-deploy back into that area. So yes, that
 12 information was passed on.
 13 Q. So any discussion between you and Mr Smith about who
 14 else might, like you, self-deploy themselves back in
 15 there, given that HART wasn't there?
 16 A. No. At the time of the discussion with Mr Smith, there
 17 were only the four NWSA people on scene: Dan Smith,
 18 taking the operational command role, Derek Poland and
 19 Dr Daley and myself. So at the time, there weren't any
 20 other resources so there was no discussion about the
 21 tasking of the next resources and, indeed, they'd be
 22 undertaking different functional roles --
 23 Q. Forgive me, I am sorry to interrupt you, they would be
 24 undertaking different functional roles, but that would
 25 be a decision for Mr Smith as to whether they were going

10

1 to undertake different functional roles or whether
 2 actually the place they needed to be, the time they
 3 needed to be there, was with you in the City Room,
 4 surely?
 5 A. Yes, but in undertaking the operational command role and
 6 following the action cards assigned to that requires the
 7 first people on the scene to populate the initial
 8 functional roles. So it wouldn't have been within the
 9 operational commander's -- it wouldn't have been usual
 10 practice in that situation to deploy people into the
 11 City Room in advance of fulfilling some of the what
 12 would be more... some of the earlier functional roles.
 13 Q. Isn't the risk of that, just for your observations,
 14 because you were there, isn't the risk of that that
 15 operational roles are fulfilled at the expense of care
 16 for patients?
 17 A. The major incident plan is obviously there to try and
 18 ensure that the overall major incident is managed as
 19 effectively as possible. An example of that would be
 20 a parking officer, which might seem a completely
 21 unimportant role to fulfil really early on when there
 22 are so many people who require help and assistance, but
 23 in actual fact if there isn't somebody early on in the
 24 incident assigned to ensure that the ambulances that are
 25 arriving arrive at the location required at the

11

1 rendezvous point and approach in the right direction,
 2 then at a location such as the arena, what might happen
 3 is that two ambulances arrive in opposite directions,
 4 causing a gridlock, and then the entire rest of the
 5 incident might be delayed as a result of that.
 6 SIR JOHN SAUNDERS: I think we realise that. I think we're
 7 rather beating around the central point. What concerns
 8 people, as you were aware on that night, is that there
 9 were people working in the City Room, members of the
 10 public, unarmed police, everybody else, and there was
 11 one paramedic until the two HART people came along.
 12 People were crying out for paramedics in the City Room
 13 and what everybody wanted to know and what I have to try
 14 and give a reason for one way, and say whether it was
 15 right or wrong, is why there were not more paramedics.
 16 Now, we well understand there are other priorities,
 17 that wouldn't be for you to decide, but for Dan Smith to
 18 decide. So I want to know: you thought it was safe
 19 enough for you to be there, okay, the armed police
 20 couldn't give you any guarantee there wasn't another
 21 unexploded device in there, but the place was ringed by
 22 armed police by the time you were working in there, they
 23 were all around giving protection. With great courage,
 24 no doubt, you decided it was safe enough for you to work
 25 as others were working there. What -- were you ever

12

1 asked by Dan Smith, "Is it safe enough for me to get
 2 paramedics, when we have got enough here to do it, to
 3 come up and help you?"
 4 A. No, I wasn't.
 5 SIR JOHN SAUNDERS: So you never gave an assessment to
 6 Dan Smith about it?
 7 A. I don't believe that there was a conversation where I ---
 8 where he asked that of me or whether I explained to him
 9 that I felt it was appropriate for more paramedics to
 10 come into that area, no.
 11 SIR JOHN SAUNDERS: So you've got a major incident, and
 12 within major incidents there are certain rules or
 13 suggestions about who can work in the red zone.
 14 Do you have discretion? So until the police tell you
 15 it's completely safe, which is a pretty unlikely
 16 characteristic, are you able to get unarmed, unprotected
 17 paramedics into the area or is it an absolute rule,
 18 until the police say so, we're not having any paramedics
 19 there?
 20 A. No, I don't believe it's an absolute rule. A risk
 21 assessment would need to be carried out and then
 22 a decision.
 23 SIR JOHN SAUNDERS: What does a risk assessment mean? Who
 24 carries it out on this occasion and how?
 25 A. So the decision to deploy further paramedics into the

1 City Room would be one that the operational commander
 2 would ultimately have to decide upon. So I wasn't
 3 deployed into that area, I self-deployed into that area.
 4 SIR JOHN SAUNDERS: I understand.
 5 A. So that obviously wasn't a decision taken by the
 6 operational commander. But the decision to deploy
 7 further paramedics in there would have been one that an
 8 operational commander would have had to make and then
 9 justify.
 10 SIR JOHN SAUNDERS: So to get situational awareness, he's
 11 got you there, Dan Smith has, so the sensible thing to
 12 actually find out is --- I am really sorry, Mr Atkinson,
 13 for taking this over --- he needs to know situational
 14 awareness and he's got you in the room working who can
 15 tell him?
 16 A. Yes.
 17 SIR JOHN SAUNDERS: And no conversation takes place?
 18 A. I don't believe there was, no.
 19 SIR JOHN SAUNDERS: Okay. If he'd asked you, "Is it safe,
 20 when we've got enough, can I send some paramedics in
 21 there?" because you're saying he must know they're
 22 needed and you know they're needed, what would you have
 23 said?
 24 A. I believe I would have said that I couldn't guarantee it
 25 was safe, the firearms police have said that there was

1 a potential for secondary device, there are hazards
 2 in the area, such as the unstable roof, but that as far
 3 as I was concerned it appeared to be safe to work in
 4 there.
 5 SIR JOHN SAUNDERS: Okay. Thank you.
 6 MR ATKINSON: In terms of timing, I think you told us
 7 yesterday, is this right, that your assessment was that
 8 the lack of further paramedics coming into the room was,
 9 to an extent, offset by how quickly those in the room
 10 needing treatment were moved out?
 11 A. Yes. I believe that had a bearing on how the incident
 12 carried on, yes.
 13 Q. Just understanding that, I'm not going to put it up on
 14 the screen, for I hope obvious reasons, but we have
 15 a spreadsheet which sets out 38 of those removed from
 16 the City Room down to the casualty clearing station,
 17 what their P level was, their priority level ---
 18 A. Yes.
 19 Q. --- and what time they got there. All right?
 20 A. Yes.
 21 Q. So if we use as perhaps helpful markers for that the
 22 time you went back into the City Room after speaking to
 23 Mr Smith, that's about 23.05 that evening, and the time
 24 that HART arrived, that's 23.14, when Ms Vaughan and
 25 Mr Hargreaves joined you --- all right?

1 A. Yes.
 2 Q. So on my analysis of it, and others will no doubt
 3 correct it in due course, when you went back in, there
 4 were 21 priority 1s in the City Room who were going to
 5 be moved down to the casualty clearing station, all
 6 right? By the time HART arrived, only six of them had
 7 gone down the stairs. All right? And the last of them
 8 didn't leave until 23.40. That is almost half an hour
 9 after HART arrived. And would this be right, that so
 10 far as you and they were concerned, you had triaged
 11 them, but you hadn't treated them?
 12 A. Yes, this is true.
 13 Q. So these are priority 1 people in the City Room, after
 14 HART have arrived, after you have arrived, for over half
 15 an hour, untreated. If there had been more of you,
 16 they'd have been out quicker, wouldn't they?
 17 A. Potentially, yes.
 18 Q. And if there had been more of you, they could have
 19 received some treatment in the meantime?
 20 A. Yes, some treatment, although the caveat to that would
 21 be obviously limited resources were likely to be brought
 22 into the City Room as it was felt more appropriate to
 23 move the patients to where the equipment had been
 24 gathered en masse.
 25 Q. Similarly, in relation to priority 2, 16 of those on my

1 count, of whom only three had left the City Room by the
 2 time HART arrived, the last of whom not leaving until
 3 23.42. Again, a little later, but over half an hour
 4 later. Again, people who needed to be treated as
 5 quickly as possible. As we have heard, for example from
 6 Brigadier Hodgetts, with catastrophic injuries, it
 7 really is vital that they are treated quickly.
 8 A. Yes. Sorry, with respect, the priority 2 patients,
 9 although extremely injured, didn't have what we would
 10 describe as catastrophic injuries.
 11 Q. Holding that thought, the triage process that you
 12 undertook and was then undertaken by Ms Vaughan and
 13 Mr Hargreaves was designed to identify who needed to be
 14 treated first?
 15 A. Yes.
 16 Q. In a priority 1 case, they may need treatment even from
 17 you in terms of tourniquets, in terms of putting them in
 18 a position where they could breathe?
 19 A. Yes.
 20 Q. Pausing there, did you do those things as part of your
 21 triage process?
 22 A. No. You're correct, the first part of the triage sieve
 23 process is to identify if there is any catastrophic
 24 bleeding. I did not come across anyone who had
 25 a catastrophic bleed that required a tourniquet in terms

1 of that initial process. The other part asks, if on
 2 opening somebody's airway, if they then begin to breathe
 3 and then suggests the introduction of an oropharyngeal
 4 airway to maintain that airway and then the use of --
 5 being positioned on their side in order to maintain
 6 their airway. So I didn't come across any patient that
 7 required those interventions in order to maintain their
 8 life.
 9 Q. As you will well understand, Mr Ennis, I don't want to
 10 ask the details of this, but did you encounter people
 11 who had received that kind of help already in terms of
 12 tourniquets having been applied to them or having been
 13 moved into a position where they could breathe?
 14 A. I didn't come across anybody who had an arterial
 15 tourniquet applied, I did come across patients who had
 16 improvised tourniquets in place. However, it was my
 17 assessment that these were not a tourniquet -- and this
 18 might sound pedantic, but the point of a tourniquet is
 19 to entirely restrict blood flow to a limb in order to
 20 prevent catastrophic bleeding that is occurring at such
 21 a rate that it can't be controlled by other methods.
 22 This requires considerable amount of pressure,
 23 Brigadier Hodgetts refers to the use of improvised
 24 tourniquets and suggests that they need a windlass, so
 25 something that's able to be wrapped around the strip and

1 twisted with considerable force in order to be able to
 2 completely constrict the blood supply.
 3 I didn't see any patients who required the use of
 4 a tourniquet in that time and the tourniquets that I had
 5 seen applied weren't acting as an arterial tourniquet.
 6 What they were doing, in my assessment, was providing
 7 direct pressure over a wound in order to hold a dressing
 8 in place and were working effectively as that, but they
 9 weren't technically working as a tourniquet.
 10 Q. The triage process. You'll be asked more in a moment
 11 when I shut up about that, but part of that process is
 12 not only identifying who needs to be treated first but
 13 making clear to others the order in which people need to
 14 be treated?
 15 A. Yes.
 16 Q. Because the idea is rather than you providing all the
 17 treatment yourself, you are grading them, which is
 18 a horrible way of putting it, but you know what
 19 I mean --
 20 A. Yes.
 21 Q. -- so others can then come in and treat them in the
 22 right order, and extricate them in the right order?
 23 A. Yes.
 24 Q. And that is, would you agree, why the cards are very
 25 important?

1 A. It is one of the benefits of the cards. However, the
 2 cards only -- the patients that you refer to, the large
 3 number of patients that you referred to were priority 1
 4 and priority 2, so the cards would only distinguish
 5 between those two groups, they wouldn't distinguish the
 6 priority that existed within the group of either
 7 priority 1 or priority 2 patients.
 8 Q. Understood. But by attaching a card, those coming in to
 9 join you in the triage process would know who you had
 10 already looked at?
 11 A. Yes, they would.
 12 Q. And when the decision was being made as to who to take
 13 out of the room first, those making that decision would
 14 know who the priority 1 people were?
 15 A. Yes, they would.
 16 Q. Very quickly?
 17 A. Yes.
 18 Q. And when they reached the casualty clearing station
 19 downstairs, those there would know who the priority 1s
 20 were without having to triage them again?
 21 A. Yes, they would, although the process of triage is one
 22 that would be repeated, so if a patient arrived down in
 23 the casualty clearing station with a P2 tag on, for
 24 instance, the expectation would be that they would be
 25 immediately re-triaged and their category could

1 potentially change.
 2 Q. But if they came down with a P1 label on, they would be
 3 the first priority, wouldn't they?
 4 A. Yes. Over that of a patient with a P2 label on, yes.
 5 Q. Realising that, and understanding from what you've
 6 already told us as to why you didn't have them with you,
 7 did you at any stage radio to ask somebody to bring them
 8 to you --
 9 A. No, I didn't.
 10 Q. -- knowing that they were important?
 11 A. No, I didn't, and I felt that because all efforts were
 12 being taken to, where possible, try and move patients in
 13 priority order, I felt that the patients that were being
 14 received in the casualty clearing station were in the
 15 main priority 1 patients initially. So although the
 16 cards would of course be beneficial, they would be of
 17 limited benefit initially in that all of the patients,
 18 would be, should be ideally, priority 1 patients.
 19 Q. Understanding that, again that same document, the
 20 spreadsheet that helps us as to who was moved to the
 21 casualty clearing station when, of the first four that
 22 were moved down the stairs at 23.07, only two of them
 23 were priority 1s. And of the first nine who were moved
 24 down the stairs, only five of them were priority 1s.
 25 Do you feel if it had been more obvious who the

1 priority 1 ones were because they had things on them
 2 saying so, that would have been done better?
 3 A. Potentially, yes.
 4 SIR JOHN SAUNDERS: Is the reason for it that people are not
 5 necessarily acting under your instructions? We've got
 6 to imagine this is a pretty chaotic scene, so people
 7 were getting people out who may not have been your
 8 priorities?
 9 A. Yes. I think in the early stages, I think it probably
 10 wasn't... The job of trying to establish who were the
 11 highest priority was obviously most difficult initially
 12 when there were the most patients to move. And then
 13 when the process was more established, I think it
 14 became -- it worked more effectively because of course
 15 there were less patients at any time.
 16 The other part of it was that there were
 17 understandably people who were injured who were very
 18 vocally wanting to be moved and I believe that that was
 19 completely understandably for those who were moving
 20 patients, they were wanting to assist in that, whereas
 21 some of the patients who were more injured were, by
 22 virtue of their injuries, less able to speak and ask for
 23 help. So that was where it was necessary to direct
 24 them, and yes, to come back to your question, if there
 25 had been a label on there, it may have made the job

1 easier for those moving them.
 2 MR GREANEY: Thank you, Mr Atkinson. Mr Jamieson has some
 3 questions.
 4 Questions from MR JAMIESON
 5 MR JAMIESON: Good morning, sir.
 6 One new topic and one thing that arises from
 7 something you have just said.
 8 The new topic is this: at various stages, those who
 9 were thought to have died in the City Room were covered
 10 in T-shirts or other materials?
 11 A. Yes.
 12 Q. And I can say, through painstaking analysis that others
 13 have done from the body-worn footage, that a number had
 14 been covered before you arrived in the City Room for the
 15 first time.
 16 A. Yes.
 17 Q. When you made your first broadcast at 22.54, so at
 18 5 minutes to 11, and you recorded that approximately 10
 19 were dead, were you counting those who had been covered
 20 as part of your number?
 21 A. I believe I was, yes.
 22 Q. You had not yourself approached those people who had
 23 been covered at that time?
 24 A. No, I hadn't had the opportunity to assess them formally
 25 myself. Obviously that was something that I wanted to

1 be able to do that formed part of the triage process.
 2 So at that initial time it was just an impression that
 3 I gained and then obviously my clinical experience
 4 that... The triage process, it mentions that it isn't
 5 necessary to perform a top-to-toe examination in all
 6 situations. From clinical experience, although I'm
 7 jumping ahead somewhat because my initial -- you're
 8 talking about my initial impression of the room.
 9 Actually, in being able to see a patient who's not
 10 moving and not displaying any signs of life, that would
 11 be highly suggestive that they are in that category of
 12 being dead, unfortunately.
 13 Q. I will return to that in just a moment, if I may. But
 14 we can agree that certainly at that time, the first
 15 broadcast, 22.54, you're relying in reality on the fact
 16 that they have been covered?
 17 A. In part, yes. So the fact that they have been covered
 18 was obviously suggestive that somebody has assessed them
 19 and their level of experience or training, obviously,
 20 I was not aware. But in somebody's opinion, they
 21 believed that this person had died. But also, there was
 22 my clinical judgement on looking at the person that
 23 I could not see any breathing or signs of life.
 24 Q. Just returning to the issue of somebody's assessment,
 25 you were the first paramedic into the City Room?

1 A. Yes.
 2 Q. And so it follows that the person who made that
 3 assessment was not a member of NWAS nor a doctor?
 4 A. No, this is likely to be true, yes.
 5 Q. As you yourself acknowledged, you wouldn't know who that
 6 person was, whether they'd be an emergency responder or
 7 a member of the public?
 8 A. No, that's true.
 9 Q. Nor what their capabilities nor training would have
 10 been?
 11 A. No.
 12 Q. As you say, when you returned to the City Room, you
 13 performed your triage. I'm simply going to put it in
 14 this way, sir, if I may: I am not suggesting that you
 15 did not at any stage approach the individuals who had
 16 been covered, but can we agree in the light of two
 17 factors, which I acknowledge out of fairness to you,
 18 firstly, the amount of injured people in the City Room
 19 and, secondly, the directions that you are given by the
 20 triage sieve, which you've already alluded to -- can we
 21 agree that those who were covered were not a priority
 22 for triage?
 23 A. The priority of triage, after establishing whether there
 24 is any catastrophic bleeding that immediately requires
 25 intervention, is to establish whether those who are --

1 SIR JOHN SAUNDERS: Okay, I'm sorry to interrupt you.
 2 I think the meaning of this question is really to get at
 3 the order. So if their faces are covered, do they go to
 4 the bottom of the pile, as it were -- sorry, that's
 5 a really bad expression -- the bottom of the list. So
 6 when you come to do your triage on them, did you leave
 7 them to the last or did you do them first or did you do
 8 them as you came to people as you were going around or
 9 what?
 10 A. Sorry, the next part is to establish those who are
 11 unconscious, so they should be the next priority to be
 12 assessed, and those who are quiet. So to be able to
 13 categorise them as unfortunately dead and beyond help
 14 requires that -- that there is an assessment of them to
 15 ensure that they are not breathing.
 16 SIR JOHN SAUNDERS: So in which order? That's what we're
 17 trying to get at. Do you look round the room and look
 18 for catastrophic bleeding and go to that person first?
 19 A. Yes.
 20 SIR JOHN SAUNDERS: And then you look for people who are not
 21 moving?
 22 A. Yes.
 23 SIR JOHN SAUNDERS: Does that include the people whose faces
 24 are covered?
 25 A. It does, and I... As you have mentioned, it was a very

1 busy and chaotic scene.
 2 SIR JOHN SAUNDERS: Absolutely.
 3 A. And trying to recall the specific order in which I moved
 4 around the room is obviously extremely difficult. The
 5 fact that remotely I could see with each of the people
 6 who had been covered that there was no obvious breathing
 7 or signs of life and that someone had deemed them to be
 8 dead was obviously a large part of my decision-making.
 9 But my intention would be to try and assess all of those
 10 patients as a priority ahead of those who were obviously
 11 breathing and those who were obviously talking.
 12 SIR JOHN SAUNDERS: Thank you.
 13 MR JAMIESON: Thank you, sir. Indeed, I think, Mr Ennis,
 14 that's ultimately as far as I wanted to take it. The
 15 fact that somebody had assessed them as having died was
 16 a part of your decision process in prioritisation on the
 17 triage? That far, I think, we can agree?
 18 A. Yes.
 19 Q. Thank you. May we just please look at the major
 20 incident plan to see -- well, to see the guidance that
 21 that provides? Please, Mr Lopez, {INQ013132/36}, at the
 22 bottom.
 23 If we look at 8.1.1, "Deceased casualties", it's
 24 really the final sentence of the first paragraph and the
 25 final sentence of the second that I want to focus on:

1 "NWAS responders triaging a person as dead should
 2 complete the label noting their PIN (clinical) number."
 3 Pausing there, which would indicate to anybody who
 4 came to look at the label later that it was a qualified
 5 person who had made this decision? You're nodding,
 6 Mr Ennis. I wonder for the transcript if you would say
 7 yes.
 8 A. Sorry, yes.
 9 Q. Thank you:
 10 "In addition to the date and the time that the
 11 casualty was triaged, confirmation of death may only be
 12 carried out by a medical doctor."
 13 And then the final sentence:
 14 "The deceased should in general be left uncovered.
 15 However, where the deceased person is in public view,
 16 consideration should be given to covering the body in
 17 order to maintain patient dignity."
 18 But this important qualification:
 19 "The triage tag should remain clearly visible."
 20 The virtues of that process, may I suggest, are that
 21 dignity can be maintained, but it can be seen at
 22 a glance that the person who has triaged the person as
 23 dead is somebody, I'll simply say, with the capability
 24 to do that?
 25 A. Yes.

1 Q. That would have been another benefit to having the cards
 2 with you in the City Room?
 3 A. Yes, although the process of applying the labels,
 4 applying the cruciform cards to patients when I had them
 5 available from the HART team, along with the HART team,
 6 the priority was to ensure that we were correctly
 7 labelling the priority 1 and 2 patients. The process of
 8 formally labelling those who had unfortunately died was
 9 one that took place later. So although the process of
 10 making the decision may have happened earlier, the
 11 actual process of applying the label, because this was
 12 a time-consuming process, was one that we didn't
 13 undertake until all of the priority 1 and 2 patients had
 14 been moved out of the room.
 15 Q. What that means is that focus was placed on those who
 16 weren't covered?
 17 A. No, sorry, I wasn't suggesting that we hadn't assessed
 18 the patients who were not moving at the time, just that
 19 the process of labelling them with the cruciform cards
 20 didn't occur until afterwards. The cards... There
 21 are -- the black cards that contain the word "dead" are
 22 kept separate from the other cards, so the process of
 23 labelling focused on those who were priority 1 and 2,
 24 the process of assessing patients prior to that and
 25 establishing the priorities, including the category of

29

1 dead, had already taken place before that.
 2 Q. I don't know if you had any more questions on that
 3 topic, sir. I've finished. Thank you.
 4 Just moving on then to the final matter that arises
 5 from what you have just said and it's about tourniquets.
 6 May I just check this: as part of your triage process,
 7 leaving aside for the moment those who had been covered,
 8 did you assess everybody in the room who had either a P1
 9 or a P2 injury?
 10 A. I obviously cannot be sure. But my intention was, yes,
 11 to try and assess every patient in the room. I honestly
 12 wouldn't be able to confirm with absolute certainty that
 13 that had taken place, but that was my intention to do
 14 that, yes.
 15 Q. I'm very deliberately not mentioning any particular
 16 individual, but may I just clarify two factors with you.
 17 Your assessment of all of those you considered was that
 18 none had a tourniquet in the sense that
 19 Brigadier Hodgetts and you as a professional would
 20 describe it?
 21 A. Yes.
 22 Q. And that none required one?
 23 A. That's not to say that... The application of
 24 a tourniquet for a true catastrophic haemorrhage, which
 25 is what is being referred to at the top of the major

30

1 incident triage sieve, is the application of
 2 a tourniquet for a catastrophic haemorrhage. That is
 3 a haemorrhage that is occurring at such a rapid rate
 4 that it is likely to lead to the death of the person
 5 before even an airway or a breathing problem. So this
 6 is -- as Brigadier Hodgetts' evidence suggests, this is
 7 learning that came out of the conflicts in Iraq and
 8 Afghanistan that led to a change in trauma treatment.
 9 The category of catastrophic haemorrhage though is
 10 one that really refers to the type of bleeding that
 11 occurs in the first few minutes and that is where he
 12 particularly refers to the "platinum 10 minutes".
 13 Q. Yes.
 14 A. So there are other categories of bleeding, so major
 15 haemorrhage that would be expected to be dealt with
 16 further through the primary survey -- so the C for
 17 catastrophic haemorrhage first, followed by airway,
 18 breathing, circulation. So the arrest of major
 19 haemorrhage would come in the second C.
 20 Q. I am sorry to cut across you, but is that the sort of
 21 treatment that would be provided at the CCP?
 22 A. That's the type of treatment that would be provided
 23 mainly at the -- potentially at the CCP, but more
 24 definitively at the CCS. It may be that there are
 25 ongoing haemorrhages that could require a tourniquet.

31

1 However, they wouldn't fall into the category of the
 2 catastrophic haemorrhage. The catastrophic haemorrhage
 3 management is one that's really designed around people
 4 who are there in the first few minutes after an injury
 5 takes place.
 6 So again, to refer to Brigadier Hodgetts, his
 7 tourniquet concept that's designed to be applied by
 8 laypeople would be one that would potentially fall into
 9 that category. That's where that would be useful,
 10 in that first platinum 10 minutes where -- unfortunately
 11 before any people who are responding remotely had been
 12 able to get to the location.
 13 Q. May I just check my understanding of what you have said
 14 for the future? If somebody has suffered a catastrophic
 15 haemorrhage and it has been abated in some way short of
 16 a tourniquet such that there is still bleeding but not
 17 at that stage catastrophic, presumably as a layperson
 18 it would seem that any further bleeding from that
 19 individual would be a very serious matter?
 20 A. If it were a catastrophic haemorrhage, then by
 21 definition it wouldn't be able to be managed by simple
 22 methods. So the majority of bleeds may be managed with
 23 the application of, for instance, an improvised dressing
 24 applied to the area. A catastrophic haemorrhage by
 25 definition is one where it continues to bleed and it

32

1 cannot be managed in that way and so only indirect
 2 pressure in stopping the arterial blood flow to that
 3 limb would stop the bleeding.
 4 SIR JOHN SAUNDERS: Is the 10 minutes significant? Because
 5 if you don't actually put on a tourniquet, an effective
 6 tourniquet, within that period, actually the patient
 7 cannot be saved?
 8 A. The 10 minutes is rather a sort of an arbitrary point,
 9 but what it's really saying is that the earlier -- after
 10 an injury where there is a catastrophic haemorrhage, the
 11 earlier a tourniquet can be applied, the sooner the
 12 blood loss can be stopped and the more likelihood there
 13 is of survival. The 10 minutes is referring to really
 14 any bleed that persists longer than that and in which
 15 the patient is still fortunately alive is probably not
 16 one that would be classified as a catastrophic
 17 haemorrhage. That is not to say that you couldn't
 18 have bleeding that would --
 19 SIR JOHN SAUNDERS: That's quite a circular definition, but
 20 I understand it. Presumably, you're describing, that's
 21 a catastrophic bleed, that's not a catastrophic bleed,
 22 there are probably grey areas, aren't there?
 23 A. There are.
 24 SIR JOHN SAUNDERS: And it's a fairly subjective decision
 25 too?

1 A. The other thing is, the word catastrophic obviously
 2 suggests, quite rightly, that this was a bleed that is
 3 very rapidly going to lead to the death of the person.
 4 That's not to say that a bleed that isn't catastrophic
 5 couldn't also lead to that person's death.
 6 SIR JOHN SAUNDERS: And needs some sort of tourniquet?
 7 A. The tourniquet is quite specific to a catastrophic bleed
 8 that's happening on an extremity and externally.
 9 Whereas there are various other types of bleed that
 10 could be happening to either the trunk of the person or
 11 could be happening internally. The tourniquet is only --
 12 SIR JOHN SAUNDERS: I can understand that.
 13 A. It is just that one category. So there are -- it's very
 14 possible that there is a bleed that falls short of being
 15 in that catastrophic category that could still
 16 unfortunately lead to the person's death. But the
 17 treatment for that in the initial period wouldn't
 18 necessarily be a tourniquet, it would be other methods
 19 to control bleeding, and there are a variety of further
 20 methods to try and control bleeding and resuscitate the
 21 person that would be used. A tourniquet is one of those
 22 things but only for a particular type.
 23 SIR JOHN SAUNDERS: Right.
 24 MR JAMIESON: I'm not going to go any further into the
 25 specifics of this because it's for a future chapter.

1 But may I just ask this general question and then I'll
 2 sit down.
 3 Your assessment of those two things, that there were
 4 no, no disrespect, I use him as a shorthand,
 5 Brigadier Hodgetts tourniquets in place and nobody
 6 needed one, was your assessment of those matters
 7 impacted by the workload that you had in the City Room?
 8 A. I think on the one hand it would be -- it's fair to say
 9 that there was -- there were a lot of patients there and
 10 a lot of patients to try and categorise. So for me to
 11 say that I can completely confirm that I was able to
 12 accurately and thoroughly assess every patient would be
 13 something I can't confirm.
 14 Equally, the type of bleeding that we are talking
 15 about as a catastrophic bleed is one where the bleeding
 16 is happening at such a rate that it cannot be missed.
 17 Really, the evidence that Brigadier Hodgetts gave was
 18 explaining that these are distracting injuries in that
 19 blood is, not to be too graphic, pumping or spurting
 20 from somebody. So understandably, this is
 21 a distraction. I didn't witness any type of bleed that
 22 would fall into that category and again, not to labour
 23 the point, but that type of injury would have
 24 unfortunately led to the death of the person before I'd
 25 arrived because that platinum 10 minutes had

1 unfortunately passed before I entered the City Room and
 2 certainly before I undertook the role of triage.
 3 MR JAMIESON: Unless some imperfect remedial action had been
 4 taken. Thank you, sir.
 5 SIR JOHN SAUNDERS: Thank you very much.
 6 MR GREANEY: Thank you, Mr Jamieson. Ms Roberts next on
 7 behalf of NWAS, and could I ask her, please, to pick
 8 a point between quarter to 11 and 11 for us to have our
 9 break.
 10 Questions from MS ROBERTS
 11 MS ROBERTS: Thank you very much.
 12 Sir, I'm going to begin, if I may, please, with
 13 a correction of which your inquiry team are aware. It's
 14 designed, I hope, to help everybody.
 15 Mr Ennis, during yesterday afternoon's session, you
 16 were asked about the time at which you first received
 17 triage tags, the cruciform cards, and it was suggested
 18 to you that a likely moment for that to have taken place
 19 was at 23.29 because we can see an interaction between
 20 you and the HART operatives.
 21 Sir, in fact the footage has been viewed and viewed
 22 a number of times, and the body-worn footage of a Police
 23 Constable Dennison at 23.17.35 shows Mr Ennis taking
 24 triage tags out of Leah Vaughan -- she's one of the HART
 25 members, out of her rucksack. That's confirmed in other

1 body—worn footage of another police officer, Mr Hill,
 2 and during the course of further sightings of Mr Ennis
 3 within the City Room, he can be seen with triage tags in
 4 his front pocket. That's from 23.17 onwards.
 5 SIR JOHN SAUNDERS: So it's 23.17 instead of?
 6 MS ROBERTS: 23.29, which was what was suggested yesterday.
 7 It was quite an understandable inference that was put to
 8 him, but that's as I understand it.
 9 MR GREANEY: I wouldn't like to proceed for the time being
 10 on the basis that that is the time. It necessarily
 11 needs to be checked.
 12 SIR JOHN SAUNDERS: No doubt all the information will be
 13 supplied to Mr Greaney and other CPs and they can look
 14 at it themselves.
 15 MS ROBERTS: It can. That's why we alerted the team to it.
 16 Briefly if I may, Mr Ennis, because you've dealt
 17 with this subject a good deal more this morning via the
 18 questions that you've, if I may say so, very properly
 19 been asked, it's really triage versus treatment.
 20 So there is a clear understanding by all those who
 21 need to understand the difference between the two,
 22 because we know that you went back into the City Room at
 23 about 11.05 to conduct what you told us yesterday was
 24 the triage sieve. Is that right?
 25 A. Yes.

1 Q. You took on, I think, although not formally assigned the
 2 role, but you took on the de facto role of primary
 3 triage officer?
 4 A. Yes.
 5 Q. Could you just tell us simply and clearly what that role
 6 involves?
 7 A. The main role — initially, as the only person
 8 fulfilling that role it was to ensure that all patients
 9 were categorised into one of the four categories,
 10 whether that's priority 1, 2, 3 or unfortunately dead,
 11 and then they are then prioritised for treatment
 12 appropriately.
 13 Q. How do you categorise them?
 14 A. The process of categorising them initially starts
 15 with — at the top of the sieve is identifying any
 16 catastrophic haemorrhage, which we've mentioned, that
 17 wasn't seen. It then asks that anybody who's able to
 18 walk, so any of the priority 3 patients, so despite
 19 injuries, if they're able to be mobilised away from the
 20 area, that they are moved, and that's something that the
 21 event medical staff assisted with.
 22 Q. Just pausing there, would that also include, so far as
 23 the priority 3s are concerned, those who are able to
 24 walk of their own volition, but those who are able to be
 25 assisted out?

1 A. Yes. The priority 3 category, it does refer to those
 2 who are mobile, so walking wounded, but certainly
 3 because of the number of people in the area, it
 4 certainly seemed appropriate that anybody that could be,
 5 with minimal assistance helped, would still fall more
 6 appropriately into that category. Anybody who couldn't
 7 mobilise with minimal assistance would therefore fall
 8 into the priority 2 category.
 9 And then to identify those who are priority 1 would
 10 be either those who had a catastrophic injury, those who
 11 were unconscious but were breathing on assessment of
 12 their airway, or those whose respiratory rate was
 13 outside of normal range, so either less than 10 or over
 14 30, or those whose pulse rate was over 120 or had
 15 a delayed capillary refill time.
 16 Q. Right. Is that what you were doing within the City Room
 17 when you went back in there?
 18 A. Yes.
 19 SIR JOHN SAUNDERS: Are you able to say — obviously because
 20 of the number of injuries you're working as fast as you
 21 can, but can you give me some idea of how long it would
 22 take you to categorise? Obviously it's going to vary,
 23 but give me some sort of average per person.
 24 A. I would say — it's a deliberately simple process. The
 25 major incident procedure talks about the fact that

1 actually often people with less clinical knowledge can
 2 sometimes be better at performing the role because they
 3 don't overcomplicate it with their knowledge of
 4 injuries. But actually, it is a simple and quick
 5 process, so although it sounds like it could be quite
 6 complicated, really as soon as the walking wounded have
 7 been moved it can be performed very rapidly and it will
 8 depend on the individual patient. It could be as simple
 9 as somebody's unconscious and their airway is opened and
 10 they start to breathe. There may be no further
 11 assessment required in order to deem them as priority 1.
 12 So anybody who's obviously breathing in a manner
 13 which is outside of the normal range, that could be
 14 assessed remotely and that would immediately put them
 15 into the priority 1 category without any requirement to
 16 assess further.
 17 SIR JOHN SAUNDERS: And the answer to the question is?
 18 A. Sorry. The answer is it depends, but could be... It
 19 could be that actually it can be decided in a matter of
 20 a couple of seconds without having to physically put
 21 hands on the patient or it could take a matter of, say,
 22 6 seconds in order to check a pulse rate, which would be
 23 the minimum amount of time needed to establish that
 24 somebody had a tachycardia, which would be something
 25 that would put them into that priority 1 or potentially

1 priority 2 category. So I'd say anywhere between
 2 1 second and 6 or 10 seconds.
 3 SIR JOHN SAUNDERS: Thank you.
 4 MS ROBERTS: So a rapid process?
 5 A. Yes.
 6 Q. You've told us that the P3s, you would want those to
 7 either walk or be able to walk themselves out of the
 8 City Room --
 9 A. Yes.
 10 Q. -- or be, with mineral assistance, guided out of the
 11 City Room. Why was there a necessity for the P3s to
 12 leave the City Room?
 13 A. As part of the major incident plan, it asks that all of
 14 those who are initially uninjured would be moved to --
 15 it suggests a survivor reception and then the priority 3
 16 patients move. What this means is that they are leaving
 17 an area which is potentially dangerous, but they also
 18 are -- by virtue of being injured people who are in
 19 pain, are likely to be, although they require
 20 assistance, they could somewhat distract from those who
 21 were even more injured, so it renders the area more
 22 manageable.
 23 Q. Thank you. You're dropping your voice a little. It's
 24 very important --
 25 SIR JOHN SAUNDERS: If you don't mind me saying so, I'm

1 finding you quite difficult to hear as well. It's all
 2 these bits of glass which people aren't used to having.
 3 Undoubtedly, everyone else can hear you except for me,
 4 but just for my benefit.
 5 MS ROBERTS: Thank you, sir.
 6 I'm going to ask you now about zones. I am not sure
 7 you touched on this yesterday, so can you just help us
 8 with understanding what your knowledge at the time was,
 9 because I appreciate there might be a difference now,
 10 but at the time what was your knowledge of zones? First
 11 of all generally and then in relation to this specific
 12 incident.
 13 A. I had undertaken major incident training before this, so
 14 I had a reasonable working knowledge of the application
 15 of zoning in a major incident and also in a marauding
 16 terrorist firearms type incident. So I understood the
 17 difference between hot zone, warm zone and cold zone in
 18 these different types of incidents. At this particular
 19 incident, although not formally discussed, I was under
 20 the impression that the City Room was a major incident
 21 hot zone in that that was the area that the explosion
 22 had taken place in and in which there was a potential
 23 for a secondary device.
 24 Q. Right. So a major incident hot zone?
 25 A. Yes.

1 Q. I think from what you told us yesterday we can put
 2 Operation Plato to one side because it didn't form part
 3 of your consideration, you knew very little if anything
 4 about Operation Plato, and that certainly hadn't been
 5 communicated to you on the evening?
 6 A. No. I knew what a marauding terrorist firearms incident
 7 was and I knew what the difference in terms of zoning
 8 and management at a major incident -- if it was
 9 a firearms incident. But the term Operation Plato is
 10 one that wasn't familiar to me. The implications were,
 11 but not that term.
 12 Q. So far as your consideration was on the night, this was
 13 a major incident, the City Room was a hot zone?
 14 A. Yes.
 15 Q. So far as the paramedic response, the NWAS response, is
 16 concerned, what was your understanding about which
 17 paramedics, if any, could enter a hot zone in a major
 18 incident?
 19 A. My understanding is that the HART team were the
 20 operatives who would be trained and able to be deployed
 21 into that area.
 22 Q. Anybody else within the NWAS response?
 23 A. No, only those with a HART level of PPE would be
 24 usually, as per the plan, deployed into that area.
 25 SIR JOHN SAUNDERS: I'm interested in this, as I asked you

1 whether there was any discretion in relation to that,
 2 and you said then there was some discretion.
 3 A. So the plan suggests that the correct people to be
 4 deployed into that area are the HART team. The plan
 5 is -- it is a plan, it's a guide, it isn't decided --
 6 sorry, it isn't a definitive thing. But I think it's
 7 fair to say that an operational commander would need to
 8 perform quite a robust risk assessment and would be
 9 deviating from the plan if they decided to deploy
 10 paramedics without that level of PPE and without the
 11 HART level of PPE into that area.
 12 SIR JOHN SAUNDERS: As you explained, you can get situations
 13 where HART may just not be there for quite a long time,
 14 in which case you have to make that sort of decision
 15 presumably?
 16 A. Yes, and it'd one that would need to be justified,
 17 particularly if anything were to go wrong and any harm
 18 were to come to those people, then the operational
 19 commander would then be held to account because they
 20 would have deviated from the suggested plan.
 21 SIR JOHN SAUNDERS: Thank you.
 22 MS ROBERTS: And deviate from the plan is precisely what you
 23 did, in fact, because you are neither HART nor were you
 24 wearing the kind of protective equipment, the ballistic
 25 equipment for example, that they would have been or

1 might have been wearing?
 2 A. Yes.
 3 Q. So you self-deployed into the hot zone, flexing the plan
 4 that you've told us about, and thus operating outside
 5 what ordinarily takes place or ought to take place
 6 within a major incident hot zone?
 7 A. I think the... Until obviously seeing the City Room, it
 8 wasn't apparent that that was a... that indeed it was
 9 definitely a major incident or that it was potentially
 10 a dangerous area.
 11 Q. But at 11.05, when you went back in there, that was
 12 patently obvious to you?
 13 A. Yes.
 14 Q. Yes. When you went back into the City Room at 11.05,
 15 that was after your discussion with Dan Smith, who was
 16 by then the operational commander; correct?
 17 A. Yes.
 18 Q. Right. Can you help us, and forgive me if you've
 19 already told us about this, but the discussion that you
 20 had with Dan Smith when you and he congregated on or
 21 around the station concourse in what was to become the
 22 CCS, what discussion was there about whether you were
 23 content to go back into the City Room, first question,
 24 and second question, whether anybody was going to be
 25 going with you?

1 A. I don't recall ... Sorry, I ... I believe that
 2 I suggested that I was going to be going back into the
 3 City Room and didn't wait for instructions from
 4 Dan Smith to tell me whether he agreed with this or
 5 otherwise. I think I explained to him that was what
 6 I intended to do. At the time, I don't think there was
 7 any discussion about anybody else joining me in there
 8 based on the fact that the other NWAS personnel who were
 9 there were required in other capacities.
 10 Q. We're going to look at the major incident plan, the
 11 reference for which is {INQ013132/21}.
 12 Down towards the bottom of the page, it's the
 13 paragraph, please, that begins 4.6.1.
 14 "First resource on scene."
 15 That was you?
 16 A. Yes.
 17 Q. It's the second paragraph:
 18 "An initial assessment of the incident (METHANE
 19 situation report) must be reported back to the EOC
 20 promptly."
 21 Just pausing there, it's my understanding, Mr Ennis,
 22 that shortly after arriving at scene, and by which
 23 I mean the vicinity of Victoria Station, at 22.46,
 24 that's when you passed what's been referred to as the
 25 partial METHANE; is that right?

1 A. Yes.
 2 Q. Is that when you were outside the station, I think on
 3 Hunts Bank itself?
 4 A. Yes. I think that's when I was still making my way up
 5 towards the station.
 6 Q. So we know that you arrived on scene at 22.42, so within
 7 4 minutes of your arrival you had passed that
 8 information back to the EOC --
 9 A. Yes.
 10 Q. -- the emergency operations centre? All right. It says
 11 this:
 12 "The acting operational commander..."
 13 And just pausing there, because you were first
 14 responder on scene, you became the de facto or the
 15 acting operational commander, is that right?
 16 A. Yes.
 17 Q. So again, this is referring to you:
 18 "The acting operational commander must not become
 19 involved in treating patients but concentrate on
 20 establishing initial command and control of the
 21 incident."
 22 We know, Mr Ennis, from what you've told us, that
 23 you went into the City Room within 7 minutes of passing
 24 that initial or that partial METHANE at 22.46 and into
 25 the City Room you went at 22.53. You were asked about

1 the plan yesterday and why you had deviated from it or
 2 not followed certain aspects. I would like to ask you,
 3 please, about the top of {INQ013132/22} --
 4 SIR JOHN SAUNDERS: Just before you leave that, do you mind,
 5 as we're there? I know it's interrupting your flow.
 6 I just wonder how realistic this is and whether it's
 7 actually designed for when an ambulance turns up or two
 8 ambulances at the same time with a number of people
 9 because calling you acting operational commander is all
 10 very well, but you have actually no one to command but
 11 yourself.
 12 A. Yes, that's absolutely correct.
 13 SIR JOHN SAUNDERS: If you look at the next paragraph, what
 14 it's telling you is you have got to concentrate on
 15 establishing initial command. It says you have to
 16 establish key functional roles, parking officer,
 17 casualty clearing officer, all the rest of it, but there
 18 was no one there to designate to that?
 19 A. No, this is true.
 20 SIR JOHN SAUNDERS: I just wonder where you've got, as you
 21 were, an advanced paramedic turning up before everybody
 22 else, which is presumably part of the job, I wonder how
 23 this really fits in with that. Were you thinking, "I'm
 24 an operational commander, I've got to think of who's
 25 going to be the casualty clearing officer and the

1 parking officer”?

2 A. Well, I was thinking that at the point of -- that if

3 I needed to take on the operational command role that

4 the next bit would be to establish the functional roles.

5 SIR JOHN SAUNDERS: When somebody came?

6 A. When the next people came, yes, absolutely. If the next

7 resources to arrive had been emergency ambulances rather

8 than --

9 SIR JOHN SAUNDERS: Dan Smith?

10 A. Yes, rather than senior people (overspeaking) would have

11 been very different.

12 SIR JOHN SAUNDERS: I understand that. Sorry, I'm really

13 sorry to cut across you again. You're left in this

14 situation with a choice, aren't you: I either stay here

15 and wait for the ambulances to come and I don't know

16 when they're coming because I know there's a lot out

17 anyway or I actually go and look at what's happening and

18 see what needs to be done?

19 A. Yes, this is true.

20 SIR JOHN SAUNDERS: So were you thinking to yourself: I'm

21 deviating from the major incident plan, a deliberate

22 deviation, or is there really no choice in that

23 situation but for you to go and do what you did?

24 A. I don't think there was any choice, no, because I think

25 that the key part of this really is to get across that

1 what this really wants you to do as the first person on

2 scene is fight the instinct as a paramedic to just help

3 the immediate people you come to and try and gain

4 information and step back from dealing with any

5 patients. I think that's the overriding thing. The

6 practical application of it is very much going to be in

7 flux because the first person to arrive on scene could

8 be a very new paramedic, for instance, the next person

9 who arrives could be a more senior paramedic. So the

10 role of acting operational commander is one that could

11 be -- it could be very much in flux. But I think the

12 important overriding thing is to try and gain as much

13 information as possible, which --

14 SIR JOHN SAUNDERS: And get it back to the EOC?

15 A. So they can get the right people there. That was my

16 intention and I hope that I did that in --

17 SIR JOHN SAUNDERS: I understand that. Obviously, no plan

18 can actually provide for every circumstance and tell

19 what you to do.

20 A. Mm.

21 SIR JOHN SAUNDERS: But realistically, the idea of you

22 waiting at the front for the person who turned up,

23 whenever they were going to turn up, to tell them to be

24 the parking officer or something just seems not very

25 sensible?

1 A. I suppose at the point of waiting, the idea -- I mean,

2 it would depend on the major incident, obviously. This

3 plan is designed as a kind of one size fits all for

4 a variety -- it wouldn't be possible to account for

5 a major incident that occurs on -- you know, it's

6 different on a motorway or a train. The application of

7 it is obviously going to depend on the geography and the

8 unique layout and things like that. But the idea of

9 remaining at the periphery, liaising with other agencies

10 and starting to put things in place is the appropriate

11 one. I think the assumption is that some of that

12 information is apparent from there, where actually it

13 might not be and it might be necessary to assess the

14 scene more accurately --

15 SIR JOHN SAUNDERS: But what you did enabled you to get

16 situational awareness and you can actually liaise with

17 the only other commander on the scene who, as it

18 happened, was in the City Room?

19 A. Yes.

20 SIR JOHN SAUNDERS: Thank you. Sorry, Ms Roberts.

21 MS ROBERTS: It's very helpful, if I may say so, sir.

22 Deficiencies in this plan, or any plans, when

23 applied to the real world, as this was confronting you

24 and others that evening, are something obviously of

25 concern, but Mr Ennis, I'm sure many will be grateful

1 that in fact you did deviate from this plan and, as the

2 chairman has said, choose the second of two options, in

3 other words instead of waiting at the front of the

4 entrance and waiting for other ambulances to arrive, you

5 went straight to the City Room and were able to obtain

6 that situational awareness of which you have told us.

7 Deficiencies, I suppose, so far as the plan is

8 concerned, are evidenced on {INQ013132/22}, the very

9 first paragraph of which:

10 "First resource on scene. Driver. The driver from

11 the first resource on scene will establish

12 a communication link between the operation commander and

13 the EOC and facilitate further communications between

14 the two. The driver will stay with their vehicle."

15 Well, you were not only the first responder, you

16 were the driver, there was just you, wasn't there?

17 A. Yes.

18 Q. Just moving down the page, it's the section within the

19 blue box that begins:

20 "It is imperative..."

21 And you've been asked a number of times about why it

22 was or the inference being why it was that those other

23 paramedics who began to arrive just short of 11 pm, why

24 they didn't go into the City Room and assist those who

25 most needed assistance. It says this, does it not:

1 "It is imperative that the first three vehicles or
 2 first six staff on scene establish command and control
 3 of the incident. They will not..."
 4 So it seems to be mandatory:
 5 "... become involved in patient triage or treatment
 6 until appropriate command and control has been
 7 established to the scene."
 8 Again, it will be for others to decide because this
 9 isn't your -- you didn't write this plan.
 10 A. No.
 11 Q. This isn't your plan and it will be for others to decide
 12 whether, as we have said, in the real world, confronted
 13 by a catastrophe that this was, whether that is sensible
 14 or workable.
 15 That said, I would like you to help us --
 16 SIR JOHN SAUNDERS: It seems on the face of it a bit
 17 arbitrary --
 18 MS ROBERTS: It seems mandatory --
 19 SIR JOHN SAUNDERS: -- six staff -- well, it may be
 20 mandatory, but the actual selection, the number, seems
 21 quite arbitrary.
 22 MS ROBERTS: Yes. We're going to, if I may, if I may,
 23 sir -- and I'm in your hands and certainly those who sit
 24 alongside me as to when we take that break, but can we
 25 just finish perhaps with the plan?

1 SIR JOHN SAUNDERS: Do.
 2 MS ROBERTS: Thank you.
 3 In terms of the numbers who were there. Could you
 4 just help us with your understanding, Mr Ennis, as to
 5 why those first few paramedics on scene, those first few
 6 responders, have to set up and establish command and
 7 control of the incident when, as you have told us,
 8 perhaps every human aspect, every aspect of their being
 9 as both a human but also a paramedic might want them to
 10 be treating patients rather than setting up command and
 11 control? What is the importance of setting that up?
 12 A. I'll try and keep the answer brief, but basically just
 13 to ensure that the overall incident is managed as
 14 effectively as possible so that the most can be done for
 15 the most. And focusing too early on individual patients
 16 or on patient treatment could be to the detriment of the
 17 overall management and therefore to the overall --
 18 SIR JOHN SAUNDERS: We well understand that. The idea of
 19 you stopping by the door and treating someone who's got
 20 very minor injuries and leaving someone with terrible
 21 injuries upstairs would not be for the benefit of the
 22 overall system. We'll hear, no doubt, why it falls to
 23 the first six staff as being the people who stay down
 24 there and do it, but no doubt there will be some
 25 explanation of that. I think we well understand why

1 you have to stand back and try and devise a plan which
 2 is going to help the most people in the quickest
 3 possible time.
 4 MS ROBERTS: And also those who follow on from you, whether
 5 that's the next five, doing the maths, or whether that's
 6 the next three or four who follow on behind you. I'm
 7 trying to understand, so that everybody can understand,
 8 is there a thought process being applied here to
 9 outcome? In other words, as to where the patients are
 10 going to go and where they and how they will receive the
 11 best treatment to enable the best outcome for them?
 12 Is that what establishing command and control at this
 13 very early stage is all about?
 14 A. Yes. It's fair to say, although... Ultimately, the
 15 requirement is going to be to get all of the patients to
 16 the correct hospitals and although I'm probably not the
 17 best person to talk about the mass casualty distribution
 18 plan, but as an advanced paramedic working at times on
 19 the trauma cell, so providing advice to paramedics
 20 throughout the whole of the north-west about how to deal
 21 with the trauma patients, I was very familiar with the
 22 Greater Manchester trauma network and the particular
 23 specialties that could be provided by particular
 24 hospitals, whether that be major trauma centres, trauma
 25 units or regular hospitals.

1 All the patients ultimately need to be at hospital
 2 but it's important that it's the correct hospital
 3 that is able to deal with their particular injuries.
 4 And that would be penetrating trauma, for instance, to
 5 Manchester Royal Infirmary --
 6 SIR JOHN SAUNDERS: I think we all well understand you need
 7 to get the right people to the right place where they're
 8 going to get the best treatment.
 9 MS ROBERTS: Thank you. We're going to turn to a separate
 10 topic, which is, again, touching on something you said
 11 yesterday, both in your knowledge generally of how busy
 12 the service was and busy the service was more
 13 specifically that particular evening, because you told
 14 us that having been working earlier, you had seen the
 15 screens and you had seen the level of activity of
 16 paramedics and ambulances earlier that evening.
 17 A. Yes.
 18 Q. So you had your general knowledge based on your
 19 experience and your expertise within the organisation
 20 then, but you had the specific knowledge of your
 21 operational duties that evening; is that right?
 22 A. Yes.
 23 Q. I think what you told us yesterday was that you did
 24 know, as the advanced paramedic for Manchester, that you
 25 had seen the control screen, you had seen how busy the

1 organisation was, and on top of that general pressure
 2 upon the organisation, that it was a busy Monday evening
 3 with, I think you told us, about 60 outstanding 999
 4 calls, that's 60 patients waiting for ambulances. Was
 5 that just in Greater Manchester or was that across the
 6 north-west?
 7 A. No, that was just for Greater Manchester.
 8 Q. Just for Greater Manchester. And we know, Mr Ennis, and
 9 we don't need -- in fact, it might actually help
 10 if we briefly have these two on the screen and then it
 11 might be sensible, I think, to take a break at that
 12 stage.
 13 The first INQ reference, please, is {INQ040952/1}.
 14 At 22.32, so seconds after the explosion itself, the
 15 available ambulances -- it says ambulances, there are
 16 other vehicles listed, in Greater Manchester and we can
 17 see that they total seven. Could you help us, please,
 18 with the difference between emergency ambulance, urgent
 19 care and intermediate vehicle?
 20 A. Yes. The emergency ambulance is one that is manned by
 21 usually a paramedic and an emergency medical technician,
 22 so capable of responding to a full range of emergencies.
 23 The urgent care vehicles are those that are manned by
 24 urgent care clinicians, so not trained to deal with
 25 emergencies, and intermediate is one also not prepared

1 for emergencies, so designed to deal with, for instance,
 2 medical admissions to hospital rather than responding to
 3 emergency calls.
 4 Q. So of those seven vehicles, only four had on them staff
 5 who were able to assist with emergencies?
 6 A. Yes.
 7 Q. If we can turn to the next INQ reference, which is
 8 {INQ040953/1}, which is the summary of the unavailable
 9 ambulances that evening. And over the page, please, as
 10 well {INQ040953/2}. So 76 of the ambulances not
 11 available because they were either at scene, meaning the
 12 address of the incident or emergency to which they had
 13 been dispatched; at destination, meaning they were
 14 at the hospital having picked up that patient and
 15 conveyed them to the appropriate hospital -- and again
 16 just so we're clear, as I understand it, once they've
 17 taken that patient to hospital, they can't simply
 18 deposit the patient at hospital and leave, can they?
 19 A. No. Very many of these patients would be on the
 20 ambulance stretcher and would have to be transferred on
 21 to a hospital bed that may well not be immediately
 22 available. So there is a time that needs to be taken
 23 there in order to hand over the care for that patient.
 24 Q. Thank you. That can come off the screen.
 25 SIR JOHN SAUNDERS: Just to make clear, you knew they were

1 busy that night from what you had seen, but you wouldn't
 2 have known that information, would you?
 3 A. No, not to that level. No, I wouldn't have known the
 4 specifics but the rough picture there that we had very
 5 few --
 6 SIR JOHN SAUNDERS: You knew we might be in for a long wait
 7 to get sufficient ambulances here tonight?
 8 A. Yes.
 9 MS ROBERTS: Just so we're clear, that wasn't available to
 10 you in terms of that level of detail. That's work
 11 that's been done to explain that. I think you did tell
 12 us that you were aware on the evening, having seen the
 13 screens earlier, that there were about 60 999 calls
 14 still waiting for an ambulance.
 15 A. Yes.
 16 Q. And that's presumably because the ambulances were busy
 17 dealing with other patients elsewhere as we have just
 18 seen?
 19 A. Yes. Monday evening is traditionally one of the busiest
 20 times of the week for the Ambulance Service and for the
 21 hospitals. This was no exception. There were other
 22 emergencies. One of the emergencies being responded to
 23 was a cardiac arrest at the same time as this was
 24 ongoing.
 25 MS ROBERTS: I just want to pick up on the chronology and

1 some of the numbers that have been given, and I can do
 2 that either now, if everybody else who is in court is
 3 happy to do that, because I also want to pick up, if
 4 I may, please, on the ambulance expert report, which is
 5 listed within Mr Ennis' evidence proposal. So I'm in
 6 your hands, sir, as to whether we do that now and the
 7 witness.
 8 SIR JOHN SAUNDERS: It's clearly going to take some time to
 9 do that, so we'll have a quarter of an hour break now.
 10 Thank you.
 11 (11.02 am)
 12 (A short break)
 13 (11.22 am)
 14 MS ROBERTS: I'm going to turn to a chronology and we can
 15 take this first part, I hope, relatively swiftly. I'm
 16 going to give out a series of times. I don't ask you to
 17 comment on them, but I think it might help -- I hope it
 18 will help -- people in their understanding of events.
 19 So explosion at 22.31. We've looked at the
 20 available and unavailable resources across
 21 Greater Manchester at that time. By resources, I mean
 22 paramedics and ambulances.
 23 You arrived at scene at 22.42.
 24 You gave the first, the partial METHANE at 22.46.
 25 You went into the City Room at 22.53 and at 22.54,

1 you gave an additional METHANE.
 2 At 22.57, Mr Ennis, you are captured on the
 3 body—worn footage of a Christopher Dawson, a police
 4 constable, saying as follows and it was read to you
 5 yesterday:
 6 "In a minute we need to start thinking about getting
 7 some casualties moved out."
 8 By casualties, had you formed a view at that stage
 9 as to what priority those casualties were or did you
 10 mean all casualties?
 11 A. Although I don't think I had -- I hadn't been able to
 12 triage people, but there were already people who were
 13 obviously most in need of treatment, so I was referring
 14 to those.
 15 Q. So there was, so far as you are aware, and you could
 16 see, a plain need to move people out of the City Room,
 17 and we can all understand why you formed that view, and
 18 communicated it to the police at 22.57.
 19 We were told yesterday of communications that
 20 Inspector Smith had made and in fact we heard those and
 21 read transcripts of them when he gave evidence about
 22 2 weeks ago.
 23 The communications, I think, that were put to you
 24 yesterday were at 22.48 and at 22.50. At 22.48 and at
 25 22.50, those communications about which you were asked,

61

1 you hadn't even met Inspector Smith by that time, as
 2 I understand it, because you weren't in the City Room
 3 with him until 22.53. Do you follow?
 4 A. Yes.
 5 Q. Back to the timetable then, so 22.57, the need
 6 identified by you to move people out. The need being
 7 identified by Inspector Smith to, "Get NWS and every
 8 available NWS to scene".
 9 But 22.58 is the time of the arrival of the first
 10 ambulance. It's not until 22.58 that that happens. You
 11 were asked yesterday about the decision, whose decision
 12 it was to move patients out by tables, by barriers, or
 13 in fact by whatever means.
 14 At 22.59.22, the body—worn footage of Police
 15 Sergeant Gary Linney captures Inspector Smith saying:
 16 "If they can get them out, you know, the tables or
 17 whatever, and just take them out to the entrance."
 18 And again, at 22.59.37, the same police officer's
 19 body—worn footage captures Inspector Smith telling
 20 another of his officers, a Sergeant Beasley:
 21 "Just anybody who is injured and can go if they can
 22 carry them out, tables or anything, we can do that."
 23 Can you remember at that time -- in fact you left
 24 the City Room at 22.59, so can you remember whether you
 25 heard Inspector Smith or any of the police officers

62

1 within the City Room at that time communicating that to
 2 their officers?
 3 A. I can't recall at what specific time it occurred, but
 4 I do remember the suggestion being made, I think by
 5 Inspector Smith, of moving people out in that manner and
 6 I agreed that that was the right thing to do. So yes,
 7 at around that time I do remember.
 8 Q. You were asked yesterday about fire and the stretchers
 9 that they may or may not have had with them had they
 10 attended scene. I don't intend to ask you about that,
 11 Mr Ennis, but in addition to any stretchers that fire
 12 could have brought to scene, did you see or take notice
 13 of any stretchers that were already on scene, in other
 14 words that were at the venue itself or on site?
 15 A. No.
 16 Q. You left the City Room at 22.59. At 22.59 was the
 17 arrival of Dan Smith, who became operational commander,
 18 Dr Michael Daley, a MERIT doctor, and Derek Poland, who
 19 became parking officer. So at 22.59 there were four
 20 NWS personnel on scene; correct?
 21 A. Yes.
 22 Q. I'm moving to the period between 23.00 hours, so 11 pm,
 23 and 23.22. At 23.01, first of all, and we know by this
 24 stage that HART have been summoned to attend the scene,
 25 so they are on their way at this stage, but they have

63

1 not yet arrived, so at 23.01 -- could we go, please, to
 2 the sequence of events, which is {INQ035612/183}.
 3 Top photograph, please, Mr Ennis. At 23.01,
 4 you have made your way down from the City Room, having
 5 given that second METHANE at about 22.54. You are in
 6 conversation with, to your left and straight ahead of
 7 you, with no helmet, that's Dr Daley, is it not?
 8 A. Yes.
 9 Q. To your right and looking at you, that is operational
 10 commander Daniel Smith; correct?
 11 A. Yes.
 12 Q. Diagonally opposite you, wearing a white helmet, is
 13 Derek Poland who become parking officer; am I right?
 14 A. Yes.
 15 Q. The gentleman with the purple gloves on, as I understand
 16 it, was a British Transport Police officer,
 17 Matthew Martin.
 18 A. Yes.
 19 Q. So that captures, does it, at 23.01, the available NWS
 20 personnel who had attended the scene; correct?
 21 A. Yes.
 22 MR GREANEY: Sir, I'm sorry, but I don't believe that is
 23 correct. Because we know that three other paramedics
 24 had arrived just shortly before this and been deployed
 25 to Trinity Way, namely Martin Nelson, Callum Gill and

64

1 Leigh—Sa Smith.
 2 MS ROBERTS: That's absolutely right. So at scene in this
 3 vicinity at the front entrance of Victoria Station in
 4 what was to become the casualty clearing station, there
 5 were four NWAS personnel. And the three to whom
 6 Mr Greaney correctly refers in fact were not back at the
 7 front of Victoria Station, as I understand it, until
 8 about a quarter of an hour or so later. I'll be
 9 corrected if I'm wrong about that, but as Mr Greaney
 10 rightly says, they were deployed elsewhere.
 11 SIR JOHN SAUNDERS: You knew nothing about them presumably?
 12 A. No.
 13 MS ROBERTS: You were referred earlier by my learned friend
 14 Mr Atkinson to the numbers of people who were moving
 15 down from the City Room down to the casualty clearing
 16 station. I'm not asking for this to go on to the
 17 screen, but I'm asking for note to be taken, please,
 18 that the timings given, which begin at 23.07 -- sir, for
 19 your reference, the CCS map and key is at {INQ041266/1},
 20 not to go on the screen, please. Those are arrival
 21 times at the CCS rather than departure times from the
 22 City Room.
 23 SIR JOHN SAUNDERS: Okay.
 24 MS ROBERTS: Footage has been seen as best as it can be of
 25 how long it took to move those 38 patients from the

1 City Room to the CCS.
 2 Mr Ennis, we know you were back in the City Room at
 3 23.05. We know that the first of those patients,
 4 priority 2 and 1, arrived at the casualty clearing
 5 station from 23.07. So allowing for a little time for
 6 those people to be moved in the manner in which they
 7 were moved, it follows, doesn't it, that when you got
 8 back into the City Room that approximately that time was
 9 the time at which the casualties began to be extricated
 10 from the City Room and down to the casualty clearing
 11 station?
 12 A. Yes.
 13 Q. At 23.15 was the point at which two members of HART,
 14 Chris Hargreaves and Lea Vaughan, arrived into the
 15 City Room and began their triage within a minute. Did
 16 you speak to those two individuals when they came into
 17 the City Room?
 18 A. Yes.
 19 Q. Was the purpose of that to give them a brief update and
 20 to make them as aware as they could be before they
 21 started their triage?
 22 A. Yes, it was.
 23 Q. So at 23.16, I think it was, when they are first seen
 24 triaging, at 23.16 there were already ten P1 and P2
 25 patients within the casualty clearing station at that

1 time, and within the casualty clearing station about 14
 2 or so paramedics. So as I say, about ten of those P1s
 3 or P2s with 14 or so paramedics.
 4 Moving through those timings, as we will, and as
 5 we can fairly rapidly, I hope, you told us that you knew
 6 that HART had already been deployed elsewhere so that
 7 although they would be on their way, they could not by
 8 definition be there with the same speed and alacrity
 9 that you were because you knew they were elsewhere?
 10 A. Yes.
 11 Q. Did you know where they were?
 12 A. Yes, I knew that they were tasked to an incident in the
 13 Stockport area.
 14 Q. They were about 15.5 miles away from the arena when they
 15 were notified of this incident, and in fact it was
 16 Annemarie Rooney, the Silver or tactical commander that
 17 evening, who at 22.40, in a communication, can be heard
 18 to say, "Get HART here". So within 9 minutes or so of
 19 the explosion, HART had been deployed to go to the arena
 20 and arrive there they did.
 21 At 23.22, the other HART, that's the other members
 22 of that particular HART team, were all at the station,
 23 by which I mean at scene. And at 23.22, when those
 24 other members of HART were at or in the station itself,
 25 and by that of course I don't mean Mr Beswick, who

1 remained downstairs in the casualty clearing station
 2 area at the point at which those other two,
 3 Chris Hargreaves and Lea Vaughan went in, but those
 4 three, having arrived at scene at more or less the same
 5 time, the other three arrived as a two and a one, as
 6 I understand it, so that all six were there by 23.22.
 7 SIR JOHN SAUNDERS: Ms Roberts, I hesitate to interrupt, but
 8 you may be getting close to the longest question and
 9 I have yet to hear anything that this witness can
 10 actually answer. It may sound a bit like a speech to
 11 me, which is often easier to follow when I've got
 12 a script as well. But you're painting the picture?
 13 MS ROBERTS: I am, I hope, and I hope by doing so, and as
 14 I said I know that I'm doing that, but I feel it's
 15 important for those, both within the room and elsewhere,
 16 to understand the chronology and to understand the
 17 numbers of those who were there, of those who could have
 18 been there because of the understandable concerns of
 19 those here and elsewhere as to why more people weren't
 20 there at appropriate times or what was felt to be an
 21 appropriate time and why more people didn't deploy, for
 22 example into the City Room, at an earlier stage.
 23 I think it's important that people understand where
 24 they were.
 25 SIR JOHN SAUNDERS: It's certainly the answers that I wish

1 to get through the evidence generally because it is
 2 a genuine concern. I'm just wondering whether it's most
 3 appropriate really having someone simply as a mouthpiece
 4 saying yes to things he doesn't actually know the answer
 5 to.
 6 MS ROBERTS: Well, as I say, I'll move on because we've
 7 dealt with the chronology.
 8 SIR JOHN SAUNDERS: Okay.
 9 MS ROBERTS: As I say, it's designed to assist both you,
 10 sir, and others in noting down those specific times and
 11 in filling in matters that perhaps otherwise --
 12 SIR JOHN SAUNDERS: And certainly it would be helpful for me
 13 to have your chronology in writing at some stage. I've
 14 tried to note things down as we're going along, but
 15 I can't actually keep up with everything. So certainly
 16 in writing at some stage would be really helpful.
 17 MS ROBERTS: Absolutely, sir.
 18 Finally, I'm going to turn, I hope expeditiously, to
 19 the ambulance expert report which was within this
 20 witness's evidence proposal.
 21 Can I just check --
 22 SIR JOHN SAUNDERS: Are we dealing with potential criticisms
 23 of this witness that he can deal with?
 24 MS ROBERTS: I know the witness has read these particular
 25 reports. I'm only going to ask him about one. No, sir,

69

1 it was to pick up really in relation to the response of
 2 Mr Ennis. There are criticisms within the report, but
 3 there are, as you know, sir, a lot of very positive
 4 things that are said within the reports that again give
 5 context to decisions made by Mr Ennis and the actions he
 6 took that particular evening.
 7 SIR JOHN SAUNDERS: Provided they are things he can properly
 8 comment on. I haven't been applying many of the rules
 9 of evidence, as you're aware, but if we can have things
 10 that he can comment on, it would be helpful because
 11 we will, of course, hear from the ambulance experts, who
 12 will be able to give their views in due course.
 13 MS ROBERTS: We will, sir. I will ask this question then,
 14 picking up on something that Mr Ennis said yesterday.
 15 When you told us, Mr Ennis, that you were being
 16 a little self-critical, it was at a point at which you'd
 17 spoken about this event to others, both Kerslake and
 18 I think a BBC interview was also put to you. Why
 19 self-critical? What are you critical of yourself about?
 20 A. I think it's probably the nature of many clinicians,
 21 many paramedics to be quite self-critical and always
 22 want to have done better. In terms of this particular
 23 incident, I think I felt everything could have been done
 24 faster or more efficiently. That was my general
 25 thought, was just to -- rather than focus on things that

70

1 perhaps went well or worked out well, was to focus on
 2 the things that I felt could have occurred better, but
 3 I think that's my nature.
 4 Q. Was one of the things you were self-critical of, I think
 5 you said this yesterday, the time it took you to pass
 6 that METHANE or to gain that situational awareness?
 7 A. Yes, it was, yes.
 8 Q. Are you aware, having read the ambulance expert report,
 9 that they think that you in fact passed that information
 10 expeditiously?
 11 A. Yes.
 12 Q. Has that changed your view or your self-criticism or
 13 do you remain self-critical?
 14 A. It has changed it somewhat. I think when I read the
 15 report, I think it helped to put things in context of
 16 perhaps the time frame that they expected this type of
 17 information to be passed back, which made me perhaps
 18 feel slightly better about the time it had taken me.
 19 Q. Just finally this: we know that a theme of the evidence
 20 of some of the police officers from whom we have heard
 21 was that they wished, and understandably wished, for
 22 more paramedics to be in the City Room. What is your
 23 evidence, please, about whether you think it would be
 24 helpful for police officers, those who are able to
 25 respond quickly and effectively, for them to have a good

71

1 understanding of the pressures under which the
 2 Ambulance Service operate on a day-to-day basis so as to
 3 inform them of the realistic speed at which, and numbers
 4 in which, NWAS or any other ambulance service can
 5 respond?
 6 A. I think that would be useful. I think we work very
 7 closely with the police on many incidents and generally
 8 the ambulance and police have a very good working
 9 relationship.
 10 SIR JOHN SAUNDERS: Don't you think they have a pretty good
 11 idea as it is?
 12 A. I think they do, but I still think they probably don't
 13 quite understand just how differently we work as an
 14 ambulance service to the police, just the nature of
 15 their work is it's very much preventative, so therefore
 16 the numbers that they have available may be far greater
 17 than ours. I think although there are probably many
 18 occasions when they are waiting for long periods of time
 19 on perhaps the streets of Manchester, waiting for an
 20 ambulance to come for an individual patient, which does
 21 give them an understanding to some degree of how busy
 22 we are.
 23 The expectation that they had on this night perhaps
 24 would suggest that they didn't really understand the
 25 context of how many ambulances or paramedics we have or

72

1 would have. So yes, that might be helpful.
 2 SIR JOHN SAUNDERS: It depends, doesn't it, a bit on the
 3 explanation for why paramedics didn't get up there
 4 sooner? Is it because there just simply weren't -- they
 5 were all out doing their job and there just aren't
 6 enough ambulances in Manchester to cope with this or is
 7 it decisions taken to deploy people elsewhere and how
 8 justified they are?
 9 A. I think it's a multi-factorial thing. The picture prior
 10 to the incident of how stretched we are, this is
 11 something which is certainly across the whole country,
 12 not unique to Manchester or to the north-west. The
 13 decision to direct resources and ambulances from
 14 patients who are in need of ambulances to this incident
 15 is one which was taken effectively but is a difficult
 16 one, particularly based on the fact that the incident
 17 itself was coded as an amber, so of course anything that
 18 was red, so a red 2 or red 1, would be higher category
 19 so technically should be the one that receives the
 20 ambulance.
 21 SIR JOHN SAUNDERS: So if it was red, if it had been coded
 22 red, are you saying they would have got more ambulances
 23 there quicker?
 24 A. No -- well, I can't comment on the specific decisions
 25 that were made. And certainly my understanding is that,

1 as it was dealt with as a major incident, then that
 2 supersedes the usual coding. But in terms of the normal
 3 dispatching, any red category call would be sent an
 4 ambulance before an amber category call, and it would
 5 need to be a justifiable clinical decision to override
 6 that and send the ambulance to what is a lower category
 7 call. So I am not suggesting that it delayed any
 8 response to the incident, but I'm suggesting that there
 9 are difficult decisions that need to be made in order to
 10 get the ambulances that are needed to this incident and
 11 also manage the incidents that are still ongoing, which
 12 are also potentially very serious.
 13 SIR JOHN SAUNDERS: I well understand, I'm sure everybody
 14 understands that for an incident like this there will be
 15 difficulties getting enough ambulances there. I'm
 16 afraid that even if Ms Roberts gets all the
 17 understanding and joint talking that there may be, if
 18 you've got policemen who are essentially not anything
 19 like as well trained as paramedics treating injuries and
 20 they're having difficulties, I think they'll be
 21 screaming out for paramedics however much understanding
 22 there is, as will members of the public.
 23 A. I agree.
 24 MS ROBERTS: And everyone can well understand why.
 25 Finally, and it's just picking up on some evidence

1 that Sergeant Kam Hare -- and we all well remember his
 2 evidence on 19 March. He said -- did you see his
 3 evidence?
 4 A. I saw some of his evidence.
 5 Q. I am going to ask you about something he said towards
 6 the very end of his evidence when he told this inquiry
 7 that since the events of 22 May 2017, there had been an
 8 enhanced awareness and certainly an enhanced delivery of
 9 first aid training that certainly he had had and
 10 potentially others within GMP. Were you part of that
 11 enhanced or part of that training with the police or
 12 not?
 13 A. No, I wasn't.
 14 Q. Right. Again, just going forward, trying to understand
 15 how a response next time, if there is a next time, how
 16 it could be better and how it could be improved, would
 17 it help, do you think, if those who are on scene
 18 themselves at the point at which something happens or
 19 those who can deploy to scene very rapidly thereafter
 20 but who are not ambulance personnel, if they had better
 21 first aid training and better medical training, basic
 22 medical training, to provide a stopgap, if you like,
 23 before the ambulance personnel can get there?
 24 SIR JOHN SAUNDERS: You can just say yes to that, I think.
 25 A. Yes.

1 MS ROBERTS: Thank you very much.
 2 Thank you, Mr Ennis, thank you, sir.
 3 SIR JOHN SAUNDERS: Just before you finish, we know there
 4 were the in-house first aid team there. Were you able
 5 to see how they performed? If not, say not.
 6 A. I could. I thought they were doing an excellent job of
 7 providing first aid.
 8 SIR JOHN SAUNDERS: Basic first aid?
 9 A. Yes, I did.
 10 SIR JOHN SAUNDERS: Thank you.
 11 MS ROBERTS: That's helpful, sir, thank you.
 12 MR GREANEY: It's a little earlier than we would normally
 13 take a break, but we will need a short break to enable
 14 the next witness, Dan Smith, to come into the courtroom
 15 and I will also need to meet him before he does so.
 16 SIR JOHN SAUNDERS: How long does that mean?
 17 MR GREANEY: I hope no more than 10 minutes, so long as he
 18 has been brought upstairs.
 19 SIR JOHN SAUNDERS: Obviously take the time you need.
 20 Thank you for your evidence.
 21 A. Thank you.
 22 SIR JOHN SAUNDERS: It may be that you think we're all being
 23 very critical, and actually maybe somewhat unrealistic,
 24 talking about major incident plans and all this, that
 25 and the other, when you're put into an emergency

1 situation which even you with your experience cannot
 2 ever have faced before.
 3 A. No.
 4 SIR JOHN SAUNDERS: So we accept that we are being slightly
 5 unrealistic and it's just not real life. But we are
 6 keen to see whether things didn't happen as they should
 7 have happened. Everyone is keen to know why it was that
 8 the paramedics weren't there first as a matter of public
 9 interest and we need to get to the bottom of it.
 10 So we are not intending to be critical of you. Many
 11 of the things you did were absolutely right and you
 12 operated in an area which you were not convinced was
 13 safe for you to operate in and you carried on doing what
 14 you could to get people out of there as quickly as
 15 possible. But I will have to look at whether everything
 16 went right in the face of all the evidence.
 17 A. Yes, thank you.
 18 SIR JOHN SAUNDERS: Thank you.
 19 (11.50 am)
 20 (A short break)
 21 (12.03 pm)
 22 MR GREANEY: Could Mr Smith be sworn, please.
 23 MR DANIEL SMITH (sworn)
 24 Questions from MR GREANEY
 25 MR GREANEY: Would you begin by telling us your full name,

77

1 please?
 2 A. It's Daniel Peter Smith.
 3 Q. In May 2017, were you a consultant paramedic with NNAS?
 4 A. That's correct.
 5 Q. And were you the lead paramedic for Greater Manchester?
 6 A. Yes, sir.
 7 Q. Meaning that you led the paramedic teams in that area?
 8 A. Yes.
 9 Q. Had you by that stage received training enabling you to
 10 undertake the role of both operational and tactical
 11 commander at major incidents?
 12 A. Yes.
 13 Q. Were you familiar with the NNAS major incident response
 14 plan?
 15 A. Yes.
 16 Q. And had you received training in that plan?
 17 A. Yes.
 18 Q. Were you familiar with what an MTF and Operation Plato
 19 were?
 20 A. Yes.
 21 Q. And had you received any training in those?
 22 A. Yes.
 23 Q. Were you the NNAS operational commander at the scene
 24 in the response to the arena attack between your arrival
 25 at the scene, just prior to 11 pm, and your replacement

78

1 by Stephen Hynes shortly before midnight?
 2 A. Yes, sir.
 3 Q. Just before we delve further into your evidence
 4 in relation to that night, I'm going to make two things
 5 plain, and this isn't really for your benefit, it's for
 6 the benefit of those who are watching either in this
 7 hearing room or remotely.
 8 The first of those two things is that although you
 9 did not at any stage enter the City Room, some aspects
 10 of your evidence may be distressing. Secondly, as with
 11 Mr Ennis, who entered the witness box and left it just
 12 before you, we will not be dealing in your evidence in
 13 this chapter, chapter 10, with any deceased or injured
 14 person by name. I know that you understand that.
 15 A. I do, yes.
 16 Q. Instead, it's likely to be necessary for you to return
 17 in chapter 12 to deal with particular individuals.
 18 Let's turn then to 22 May. On the night of 22 May,
 19 were you at home?
 20 A. I was, yes.
 21 Q. Were you not on duty?
 22 A. I was not on duty.
 23 Q. And not on call?
 24 A. No.
 25 Q. At 10.41 pm, did you receive a call from a colleague

79

1 Annemarie Rooney?
 2 A. That's correct, yes.
 3 Q. At that stage, I think you were in bed?
 4 A. Yes, just getting into bed.
 5 Q. Annemarie Rooney was someone that you knew well?
 6 A. Yes.
 7 Q. And would it be fair to say that she was a close
 8 professional colleague?
 9 A. Yes.
 10 Q. I'm going to check, Mr Smith, that everyone in the
 11 hearing room is able to hear you, because you are quite
 12 softly spoken -- keep your voice up, I know that
 13 you will.
 14 In that call at 10.41 what did Annemarie Rooney tell
 15 you?
 16 A. It was a short phone call. She alluded to an incident
 17 at the Manchester -- I think she probably called it the
 18 Evening News Arena as most people do -- and referenced
 19 that it was believed to be a bomb or a terrorist attack.
 20 Q. We know that she was to become NNAS
 21 Silver commander/tactical commander and to deploy to GMP
 22 force headquarters. Did you learn that that was the
 23 plan in that telephone call?
 24 A. Yes.
 25 Q. Was it also agreed in that call that you would make your

80

1 way to the scene, that's to say to the arena?
 2 A. Yes. That's correct.
 3 Q. We know that you were to become the Bronze commander.
 4 Was it agreed at that stage in that call that you would
 5 take that role?
 6 A. No, it wasn't.
 7 Q. So at that stage in that call, what did you understand
 8 was the purpose in you travelling to the arena?
 9 A. As part of the response to -- at that point, obviously,
 10 we weren't aware what was happening, but as part of the
 11 response to the incident that was unfolding.
 12 Q. So really just to travel there and to take whichever
 13 role you were best suited for --
 14 A. That's correct, yes.
 15 Q. -- as a senior figure within NWSA? That discussion that
 16 you had between the two of you, was that the result of
 17 any formal plan or scheme or simply some form of
 18 informal agreement?
 19 A. It was an informal agreement. I don't even know if I'd
 20 call it an agreement now. It was an informal act which
 21 she took in terms of notifying me of the incident.
 22 I wasn't part of any plan; it was in response to her
 23 receiving the information and she felt she wanted to --
 24 I assumed she wanted to advise me of the incident so
 25 I could mobilise.

81

1 Q. I must have misunderstood. We heard, I don't know if
 2 you heard the evidence, from Mr Dexter, the GMP
 3 ground-assigned tactical firearms commander, and he was
 4 informed of the events at the arena as a result of an
 5 agreement that he had with a member of his staff that he
 6 would be told about any serious incident. Did you have
 7 such an agreement with Annemarie Rooney?
 8 A. Yes, and with others. We're a very small team, so
 9 I think it would be natural that any incident of this
 10 nature, we would all phone each other.
 11 Q. That may very well be entirely sensible. So there was
 12 some form of informal agreement between you, Annemarie
 13 Rooney, and others about your managerial level, that in
 14 the event of any one of you becoming aware of a serious
 15 incident you would inform one or more of the others?
 16 A. Yes.
 17 Q. And that is what happened that night?
 18 A. Yes.
 19 Q. As a result of that discussion, did you get dressed and
 20 start to make your way to the arena straightaway?
 21 A. Yes.
 22 Q. As you'll appreciate, I'm not going to ask you where you
 23 live, even in general terms, but you didn't live very
 24 far away, did you?
 25 A. No, not far at all, sir.

82

1 Q. Did you travel towards and indeed to the arena in your
 2 NWSA unmarked vehicle?
 3 A. Yes.
 4 Q. On blue lights and sirens?
 5 A. Yes.
 6 Q. On the way there, do you remember that you received two
 7 messages, certainly one whilst you were on the way and
 8 perhaps one just as you were arriving?
 9 A. I do, sir, yes.
 10 Q. What we're going to do, just so that everyone can follow
 11 this, is we will listen to each of those recordings.
 12 Some of the messages that you passed, indeed all of the
 13 messages that you passed later on when you arrived
 14 at the arena we won't listen to because of some of the
 15 background noises, but we must inform people to the
 16 greatest extent possible.
 17 First of all, those two messages before your arrival
 18 at the arena. The first one at 22.50 hours, and
 19 Mr Lopez, I know that you have tested these. We're
 20 going to have the recording played, which is
 21 {INQ015056/1} and on screen at the same time and
 22 following the recording, the transcript, {INQ015056T/1}.
 23 (Audio played to the inquiry)
 24 So you were told at that stage that there was an AP,
 25 an advanced paramedic on scene, namely Paddy Ennis. Was

83

1 he someone that you knew?
 2 A. Yes.
 3 Q. That he had provided a situation report; indeed we know
 4 that that had happened at 10.46. You were told that the
 5 RVP was Thompson Street. Did you at that stage
 6 understand the difference between an RVP and an FCP?
 7 A. Yes.
 8 Q. You observed:
 9 "I'll maintain RVP for now in case it's an MTF--type
 10 incident."
 11 What did you mean by that, that you would maintain
 12 RVP?
 13 A. So my recollection of that message was around that we
 14 should -- that NWSA should maintain an RVP response. So
 15 if you go a little bit further up:
 16 "Just to confirm that someone on scene is saying the
 17 scene is safe."
 18 It's obviously possible that the information I was
 19 given at first wasn't quite what was happening, and then
 20 someone may have declared the scene completely safe for
 21 us to -- and it wasn't a major incident. At this early
 22 moment we don't really know what's going on, so I think
 23 my instruction there around "maintain the RVP" is that
 24 we should continue to send our major resources to an RVP
 25 for the time being until we've got confirmation of the

84

1 scene safety message.
 2 Q. So the thrust therefore of what you were communicating
 3 at that stage is: there might be a marauding terrorist
 4 firearms attack underway at the arena, if there is
 5 we aren't going to deploy even HART into that area --
 6 you're nodding your head -- as a result, everyone should
 7 at this stage muster at the RVP at Thompson Street, as
 8 you were told?
 9 A. Based on that information it would be an RVP deployment
 10 until we knew more, yes.
 11 Q. And no one would deploy until you got a -- I think you
 12 called it a safe message?
 13 A. I think until we had assessed the scene in terms of
 14 what's happening from a safety perspective, yes.
 15 Q. Obviously you knew Paddy Ennis was there and he was
 16 going to be an important part of establishing that it
 17 was appropriate for you to attend the scene.
 18 A. That's correct, yes.
 19 Q. Let's listen to the second recording. This is timed at
 20 22.56 and must be as you're very near to the arena or
 21 just arriving. Mr Lopez, the recording is
 22 {INQ015152/1}, and the transcript again on the screen
 23 and following, please, is {INQ015152T/1}.
 24 (Audio played to the inquiry)
 25 So the RVP, as you were informed, had changed from

1 Thompson Street to Hunts Bank. Did you know the
 2 geography of the railway station?
 3 A. Generally, yes.
 4 Q. So did you know where Hunts Bank was?
 5 A. Yes.
 6 Q. Whilst we're dealing with issues of geography, did you
 7 know the arena itself?
 8 A. Yes.
 9 Q. Did you know the City Room?
 10 A. Not as the City Room at the time, if that makes sense.
 11 Q. It does.
 12 A. The McDonald's foyer is probably what I would have known
 13 it as.
 14 Q. You knew there was a foyer?
 15 A. Yes.
 16 Q. And would you have known before you arrived that night
 17 how to get to that foyer from the war memorial entrance?
 18 A. Yes.
 19 Q. So you'd plainly been there on a number of occasions
 20 before?
 21 A. Yes.
 22 Q. In the result, having received that message, did you go
 23 to Hunts Bank?
 24 A. Not in my car, but I did walk up.
 25 SIR JOHN SAUNDERS: Do we actually know or are you able to

1 say the inaudible bit of that message, that they're
 2 going to get back to you on?
 3 A. I think from listening to it now, sir, it sounded like,
 4 "Have you got an exact location?" But I couldn't...
 5 I don't know if there was a specific point on
 6 Hunts Bank.
 7 SIR JOHN SAUNDERS: That makes sense.
 8 MR GREANEY: So you didn't drive your vehicle to Hunts Bank?
 9 A. No.
 10 Q. As I know from your statement, you drove it to somewhere
 11 else. Did you in fact park by the cathedral?
 12 A. I did, yes.
 13 Q. Was that because you couldn't get nearer to the arena or
 14 for some different reason?
 15 A. One, I felt it would be quicker because of the way the
 16 roads are set up at that point, you had to sort of drive
 17 round of a bit of a diversion, but my experience on
 18 attending, not incidents obviously of this nature in its
 19 entirety, but certainly incidents where there's a risk
 20 potentially from violence and things, is sometimes
 21 taking a walk towards that incident gives you
 22 opportunity to take in what's happening and assess the
 23 scene in a general way.
 24 So as I was approaching the cathedral, I took the
 25 decision that, actually, if I park my car here, I've got

1 the opportunity to walk towards the arena and I can get
 2 a greater understanding of what's happening.
 3 Q. So do you mean that you thought that you would be able
 4 to at least start to gain situational awareness if you
 5 walked that short distance from the cathedral to the
 6 arena?
 7 A. Yes.
 8 Q. Having parked up your vehicle, did you take from it and
 9 with you two clinical response bags?
 10 A. Yes, sir.
 11 Q. Which contain your clinical equipment?
 12 A. Yes, sir.
 13 Q. Were you dressed in uniform at that stage?
 14 A. Yes.
 15 Q. Did you also put on something else?
 16 A. I think in my statement, I say that I put on a tabard,
 17 but I haven't: I've carried it to the arena and it was
 18 put on shortly after my arrival.
 19 Q. And you also mentioned that you put on a helmet at the
 20 time, although quickly you dispensed with that or it
 21 disappeared?
 22 A. That's correct.
 23 Q. You took with you a tabard. Was that a tabard that you
 24 believed said "incident commander" on the back?
 25 A. Yes.

1 Q. So that you could be readily be identified , both by NWAS
 2 itself and by other emergency services as the person
 3 performing that role?
 4 A. Yes, if I was to undertake it, yes.
 5 Q. That was really my next question. By the stage that you
 6 pulled your car to a halt, did you believe that you were
 7 going to be the operational commander?
 8 A. No. I don't think that was confirmed in my mind. It
 9 was obviously part of, you know, as you're driving to an
 10 incident like this, you start to think things through
 11 and it was certainly part of my thinking: will I become
 12 the operational commander here? I took the tabard
 13 really because it's a part of the major incident kit
 14 that I've got in my vehicle. It may not necessarily
 15 have been worn by me but I took it in case it was...
 16 Q. What I want to address is what was going to determine
 17 whether you should or shouldn't be operational
 18 commander. We know that in accordance with the major
 19 incident response plan, the first responder on scene
 20 would effectively act as operational commander until
 21 someone more appropriate arrived, although that seems
 22 not in fact to have occurred in the result .
 23 On you arriving, what to your mind was going to
 24 determine whether you would or would not be the
 25 operational commander?

1 A. Who else was there, because there may have already been
 2 a qualified commander on scene that would have — that
 3 had taken over that role. As you can see from the
 4 sequence of events, Mr Poland arrived very shortly after
 5 me into the arena. Had he already been there 5 minutes,
 6 I knew it's very likely he would have taken the
 7 operational commander role. So from a qualified
 8 commander's perspective, when we take on an incident,
 9 very often it's the first qualified commander on scene
 10 that would take that operational command role. So it's
 11 very much dependent on my time of arrival
 12 (overspeaking).
 13 Q. So it's the first appropriately qualified member of
 14 staff who arrives?
 15 A. To take the — understanding, obviously, that we
 16 instruct the first person on scene to take the acting or
 17 temporary operational commander role, but to formally
 18 sort of assign the incident as operational commander,
 19 it's the first qualified commander to arrive usually.
 20 Q. And would you expect them to retain that command role
 21 unless there was some reason for them to be replaced?
 22 A. Ordinarily, yes. That would be incident—dependent and
 23 some incidents last days.
 24 Q. Of course.
 25 A. So yes, it would be incident—dependent but ordinarily,

1 yes, the operational commander would be maintained.
 2 Q. As you'll appreciate, I'll come back to that very much
 3 at the very end of my questioning.
 4 As you left your vehicle and walked towards the
 5 scene, did you immediately know or suspect that a bomb
 6 had been detonated?
 7 A. There was a smell in the air that indicated an unusual
 8 smell. I've referred to it before like Bonfire Night.
 9 There was certainly a smell in the air that indicated to
 10 me that a bomb had been detonated yes.
 11 Q. And did you become aware of people in the area who had
 12 injuries?
 13 A. Yes. Certainly as I turned on to Hunts Bank, I became
 14 more aware and I know as I turned on to Hunts Bank,
 15 I passed somebody that was being supported to walk, that
 16 had some obvious injuries, and thought in a moment that
 17 I would stop them and ask them to come back with me, but
 18 then still at that point I didn't know what was
 19 happening within the complex itself. So I felt it was
 20 more appropriate to allow that movement away at that
 21 stage until I knew more. I didn't want to take somebody
 22 back into a dangerous situation.
 23 Q. In the first witness statement, the first of four that
 24 you gave, and I'm at page 3, I'm not going to read out
 25 every word of this, but you indicate that you started

1 seeing casualties and that you were able to see, even at
 2 that early stage, effectively shrapnel.
 3 A. Yes. I think I'd already been told something about
 4 nails, but I could see there was clothes torn, there was
 5 an obvious — there were obviously small wounds on
 6 people as they were walking away from me, so either it
 7 was glass or shrapnel.
 8 Q. You go on to observe that you thought that the injuries
 9 you were seeing at that stage were consistent with an
 10 explosion as opposed to a firearms attack?
 11 A. Yes, that was more to do with the clothing, the effect
 12 on clothing on some people.
 13 Q. So it was starting to develop as a consistent picture.
 14 You'd heard in the first radio message that Paddy Ennis
 15 had said that there was a nail bomb, you were seeing
 16 injuries consistent with a shrapnel bomb, and do you
 17 recall that a police officer at the scene also indicated
 18 to you that it was believed that the explosion had been
 19 caused by a suicide bomber?
 20 A. Yes, that's correct, yes.
 21 Q. We see your arrival at the railway station itself in
 22 a series of stills, and these enable us to time it at
 23 22.59. So within 18 minutes of receiving the call,
 24 you've arrived at the arena.
 25 Mr Lopez, this is the sequence of events, you'll be

1 familiar I'm sure with the INQ reference, but for the
 2 transcript I'll give it, {INQ035612/169}.

3 22.59.25. Dr Michael Daley, the NWSA MERIT doctor,
 4 is approaching the war memorial entrance from the
 5 direction of Hunts Bank, and he is in company with you.
 6 So at what stage had you met Dr Daley?

7 A. To the best... Obviously I can't... I can't see myself
 8 on that. I think that's -- the person circled is
 9 Dr Daley?

10 Q. Perhaps a lesson in not always accepting the narrative.
 11 Let's have a look at the next image, which hopefully
 12 you will be in, {INQ035612/171}.

13 Someone will have watched this CCTV very carefully
 14 as part of Inspector Russell's team. Can you see
 15 yourself in that image, which is timed, I think,
 16 24 seconds later?

17 A. I can, sir, yes.

18 Q. You can?

19 A. Yes, sir.

20 Q. So it looks like there is a correct identification.
 21 You're there with Dr Daley. Had you just met him
 22 in that moment or had you met him as you were walking up
 23 or can't you remember?

24 A. I don't think it was walking up. My recollection is
 25 we were inside when we first met and I don't appear to

1 have equipment with me there so I don't know if I had
 2 been in and come back out quickly because I don't have
 3 my bags on my shoulder or anything there. My
 4 recollection of the night is, as I walked into where the
 5 war memorial is, I didn't see which direction he came
 6 from, but Michael Daley was suddenly there.

7 Q. Was he someone that you knew?

8 A. No.

9 Q. But did he explain to you that he was the MERIT doctor?

10 A. Yes, he did.

11 Q. Are you wearing the tabard in that image?

12 A. No.

13 Q. So you hadn't put it on at that stage?

14 A. No.

15 Q. So by that point, should we understand that you had not
 16 decided or been told that you were the Bronze commander?

17 A. Yes, that's correct.

18 Q. You didn't know it at that stage?

19 A. No.

20 Q. Let's just look at one more image. {INQ035612/172},
 21 please, Mr Lopez.

22 This is 23.59.53. You and Dr Daley enter the
 23 station via the war memorial entrance and you appear to
 24 be using your radio. So are you the person on the right
 25 as we look at this photograph?

1 A. Yes, sir.

2 Q. Are you wearing a tabard by this stage?

3 A. No, in fact I've just -- it's on the floor, I've just
 4 dropped it.

5 Q. By reference to the time of this photograph, can you
 6 tell us when it was that you did become operational
 7 commander?

8 A. Yes. Shortly after this, at I think it's 23.01, I met
 9 with Paddy, Mr Daley and Mr Poland a little bit further
 10 into the concourse, had a brief discussion, and at that
 11 point I took over operational command.

12 SIR JOHN SAUNDERS: I'm sure everybody realises there's
 13 a mistake on the time there, 22.59.

14 MR GREANEY: It is 22.59, sir, you're quite right. I hadn't
 15 noticed that. Thank you.

16 At 23.00.39, three other paramedics arrived, so
 17 that's just after you. And having missed the last
 18 10 minutes of Mr Ennis' questioning, you won't have seen
 19 that we did identify that. Let's look at the
 20 photographs. {INQ035612/178}, please.

21 23.00.39. Three paramedics that have been seen
 22 outside enter via the war memorial entrance, and on the
 23 version of this that I've been looking at they weren't
 24 identified, although I knew who they were. They are
 25 Martyn Nealon, Callum Gill and Leigh-Sa Smith.

1 SIR JOHN SAUNDERS: Did they arrive in one ambulance or more
 2 than one ambulance or does nobody know or are they in a
 3 car?

4 MR GREANEY: I'm sure someone will know but I don't know the
 5 answer to that question.

6 SIR JOHN SAUNDERS: We will find that out.

7 A. If I can help, I believe it's one ambulance.

8 Q. It's one ambulance? Thank you very much indeed.

9 Next image, {INQ035612/179}, please. The three
 10 paramedics seen entering at 23.00.39 then met up with
 11 operational commander Daniel Smith and Dr Daley is
 12 nearby.

13 Then {INQ035612/182}, please. We can see that
 14 whilst you are in conversation with them, Patrick Ennis
 15 is on his way down the staircase from the overbridge.

16 Then at 23.01.06, paramedic Derek Poland has joined
 17 the group, so he's arrived by now, and the group
 18 includes you, Dr Daley, paramedic Matthew Calderbank,
 19 and I think probably also the three paramedics that
 20 we have mentioned.

21 At the stage at which you are speaking to the three
 22 paramedics, were you the most senior NWSA representative
 23 there?

24 A. Yes.

25 Q. Were you the most senior, in fact by some margin?

1 A. No, Mr Poland was an operations manager, so another
 2 senior member of staff, but I was the most senior.
 3 Q. And as I've said, the paramedics are Nealon, Gill and
 4 Smith. What we know is that following their discussion
 5 with you, they go to Trinity Way to treat, I think,
 6 a single patient. So did you direct those three
 7 paramedics to do that?
 8 A. I did. On my arrival -- as I'm walking up Hunts Bank
 9 I was approached by a police officer. I understood it
 10 to be the police officer who came in with me but I think
 11 during the evidence it possibly wasn't because that was
 12 police sergeant. But that police officer was directing
 13 me to a patient or patients around the rear of the
 14 arena, so the Trinity Way side of the arena. So on my
 15 arrival, I could see there were patients obviously
 16 presenting at the Victoria Station side, but was
 17 conscious that I was told at least one patient existed
 18 on the other side of the arena and so I dispatched an
 19 ambulance round to that side.
 20 At that point obviously I have no idea exactly where
 21 patients are presenting around the arena complex.
 22 Q. Did you know by that stage, as you made that deployment,
 23 that the seat of the explosion was the City Room or the
 24 foyer, as you knew it?
 25 A. I'd been... I'd been told, I believed, in one of the

1 messages about the -- near to the old McDonald's. But
 2 I don't think at that point I was completely clear on
 3 where the seat of the explosion was. I was still
 4 dealing -- obviously I'd only been there approximately
 5 1 minute.
 6 Q. A very short time. What you didn't think was that
 7 Trinity Way was the seat of the explosion?
 8 A. No.
 9 Q. Let's just be clear about what's happening at this
 10 stage. As you make that deployment, that's at a time
 11 when you hadn't spoken to Paddy Ennis?
 12 A. Yes.
 13 Q. Would it be fair to say it was a time at which you had
 14 no significant situational awareness?
 15 A. Other than what I'd been told on the radio message.
 16 Q. Yet what was happening was that a major part of the
 17 resources, NWAS resources, available at that stage went
 18 off before you really knew what was going on, didn't
 19 they?
 20 A. They did, but in part that was in an attempt to gain
 21 situational awareness. Obviously in retrospect, the
 22 majority of the patients, seriously injured patients,
 23 were obviously in the City Room. But at that point
 24 I did not know that, and I could have been in the wrong
 25 place, it could have been that I needed to send

1 resources to the other side and we needed to -- I needed
 2 to re--think where I was, because at that point nobody --
 3 other than the RVP being given as Hunts Bank, we weren't
 4 aware of any FCPs or anything like that.
 5 SIR JOHN SAUNDERS: You've just told us of the picture when
 6 we saw on the scene that when Ennis comes up, these
 7 three other paramedics are still there. Is that what
 8 the picture shows?
 9 MR GREANEY: No, I think by the time Mr Ennis arrives and
 10 has a discussion with Mr Smith, they have gone by that
 11 stage.
 12 SIR JOHN SAUNDERS: Do you know that? Can you remember?
 13 A. I can't remember the opening hour. Certainly the first
 14 20 minutes went by very quickly, so other than what's
 15 presented to me, sir.
 16 MR GREANEY: We can have a look again to see if it does
 17 clarify, but I have a fair degree of confidence --
 18 SIR JOHN SAUNDERS: That's what I was expecting to be the
 19 situation, so I was quite surprised when you said the
 20 other three paramedics were there at the same time but
 21 it may be before any conversation has taken place.
 22 MR GREANEY: That was probably my misuse of language. Let's
 23 have a look of those images again.
 24 {INQ035612/178}, first of all. They're arriving.
 25 {INQ035612/179}. You're there and speaking to them.

1 We can see the time, 23.00.50.
 2 {INQ035612/182}. There is Mr Ennis walking down the
 3 stairs, and in the bottom image, 23.01.06, are you able
 4 to say whether the three paramedics, Nealon, Gill, and
 5 Smith, are still there at that stage or if they have
 6 gone as you look at that bottom image?
 7 A. 23.01.06?
 8 Q. Yes.
 9 A. They're still there in that image at that point.
 10 Q. And if we just look at one more then, {INQ035612/183}.
 11 So the top image, 23.01.24. You are now beginning to
 12 talk to Patrick Ennis. Have those three paramedics
 13 departed by that time?
 14 A. Yes.
 15 SIR JOHN SAUNDERS: Thank you for clearing that up.
 16 MR GREANEY: To return to the point I was exploring, as
 17 you will well appreciate, having seen Mr Ennis' evidence
 18 yesterday and today, you probably realised it before
 19 now, one of the issues the inquiry is concerned to
 20 understand is why particular NWAS resources were
 21 deployed to particular locations and moreover why more
 22 paramedics were not deployed to the City Room. So just
 23 at this early stage, I want to see where we've reached.
 24 At that point in time, just gone 11.00, there were,
 25 I think, seven NWAS officers or representatives present.

1 So obviously Paddy Ennis, you, Mr Poland, Mr Daley, and
 2 the three paramedics that we've just been speaking
 3 about. Have I understood correctly?
 4 A. I believe so, yes.
 5 Q. Yet, here you are deploying, not far from 50% of those
 6 available resources away from the station itself,
 7 certainly away from the City Room, Trinity Way. The
 8 question therefore is: was that a sensible deployment of
 9 such substantial resources?
 10 A. So in my view, at that point, yes, I needed to -- the
 11 police officer was very clear that they had a critically
 12 ill patient on the other side of the arena. It was
 13 important that I understood what was happening on that
 14 side of the arena as well as the side that I was on. So
 15 that deployment isn't just about a single patient, but
 16 is about -- in the picture I'm pointing at one point and
 17 I do remember discussing, trying to get the number off
 18 their radio so that they could contact me if they needed
 19 to directly to give me information as to what was
 20 happening on the other side.
 21 So in my view at the time, given the information or
 22 lack of information that I had at that point, what I did
 23 know was that, as described to me, a critically ill
 24 patient or patients were presenting on the other side of
 25 the arena and I deployed to try and assist me with my

101

1 situational awareness.
 2 Q. And given that you in part were seeking situational
 3 awareness by deploying three of them to that location,
 4 did you speak to them by radio or in person at any stage
 5 shortly afterwards?
 6 A. No, but a further resource arrived on scene who advised
 7 me that certainly the... Sorry, I'm just being cautious
 8 not to talk about an individual patient. The patient
 9 that was presenting on the other side had been -- was
 10 being managed by a resource and I was informed that no
 11 other resources were required on that side. But it
 12 wasn't through that crew, it was via another manager
 13 who'd arrived.
 14 Q. As we just saw in the image at {INQ035612/183}, you were
 15 in discussion with Paddy Ennis, and in a short time
 16 we're going to receive your evidence about what was said
 17 between the two of you.
 18 But first of all, as you told us, it was during the
 19 course of that conversation that you were to decide, is
 20 this right, that you were operational commander?
 21 A. Yes, that's correct.
 22 Q. Was that something that you decided or was it something
 23 that you were told you should be?
 24 A. No, I decided.
 25 Q. By that stage, Mr Poland was also there and he was also

102

1 a senior figure within NWS? You're nodding your head.
 2 A. Yes.
 3 Q. Was there any discussion between the two of you about
 4 who was best suited to that role or did you just decide
 5 it should be you?
 6 A. I'm not convinced I would describe it perhaps as
 7 a discussion, but we certainly -- my recollection -- I'm
 8 aware it's not Mr Poland's because we've spoken about it
 9 since the incident -- my recollection is that I did say
 10 to him, "Do you want to take this", and I sort of
 11 pointed at the tabard, invariably meaning: do you want
 12 to take operational command? And from that moment on,
 13 he said no, so I was operational commander. That wasn't
 14 an attempt to offload operational command, I think
 15 we were both competent and trained to take that role.
 16 We had a choice and I took it.
 17 Q. Just before we return to that conversation with
 18 Paddy Ennis, I want to look at the major incident
 19 response plan and what it required of an operational
 20 commander. As we know from your earlier answers, you're
 21 familiar with that plan.
 22 SIR JOHN SAUNDERS: You're the lead paramedic in Manchester;
 23 is that right?
 24 A. Yes. Clinically, I have -- so there's differing roles.
 25 SIR JOHN SAUNDERS: Does that make you senior to Mr Poland?

103

1 A. In rank it does, but we're not an organisation that
 2 really focuses much on rank but officially yes --
 3 SIR JOHN SAUNDERS: No, maybe not, but if it was going to be
 4 the senior person who took the operational commander
 5 job, that would have been you?
 6 A. It would be me, yes.
 7 MR GREANEY: Thank you, sir.
 8 We'll just learn a little bit more of what's
 9 expected of an operational commander by the major
 10 incident response plan. {INQ013132/16}, please.
 11 As I go through just two short parts of this, if
 12 there is any part that you think that I'm passing over
 13 or missing, please, with your knowledge of the document,
 14 draw it to my attention.
 15 So paragraph 4.2.3:
 16 "Operational commander.
 17 "NWS major incident action card 4 [and we'll look
 18 at that in a moment] outlines the operational
 19 commander's key responsibilities. The action card must
 20 be used during the management of an incident."
 21 Did you have action 4 with you that night?
 22 A. Yes.
 23 Q. Whereabouts on you did you have it?
 24 A. It's always kept -- well, all the action cards are kept
 25 in my high-vis pockets.

104

1 Q. Did you at any stage refer to that action card?
 2 A. Not immediately, but later on in the evening.
 3 Q. In terms of the stage at which you referred to it, are
 4 you able to help us with a time or a point in events?
 5 A. No. It was probably — I would be guessing it would be
 6 after half an hour of my arrival.
 7 Q. We appreciate the limits of the answer you gave, but
 8 some time around about 11.30 is the best you can do?
 9 A. Yes.
 10 Q. "The operational commander works [it continues] at an
 11 operational level and has responsibility for the
 12 activities undertaken at the scene."
 13 So do you agree it's a heavy responsibility,
 14 "responsibility for the activities undertaken at the
 15 scene"?
 16 A. Yes, it's a difficult role, yes.
 17 Q. "As such they will be located at the incident scene,
 18 ideally alongside the operational commanders of the
 19 other responding agencies at a forward command post.
 20 Where this is not possible, the operational commander
 21 must ensure regular multi-agency face-to-face briefings
 22 take place."
 23 I'm just going to pause to ask you some questions
 24 about that section. Was there, so far as you were
 25 aware, ever a forward command point?

105

1 A. No.
 2 Q. Why not?
 3 A. I will take responsibility for aspects of that. I think
 4 it was in my mind about a forward command post. There's
 5 two particular points within the incident where
 6 a forward command post is either mentioned to me or by
 7 me, one being the arrival of a Network Rail incident —
 8 I think they're called incident officers, who approached
 9 me and I directed him — we were stood outside of the
 10 war memorial entrance and I directed him to stay there.
 11 I said, "This seems like the most natural place".
 12 And later on — sorry, and before that, there was
 13 a radio message, where I was informed about the RVP
 14 changing, and I spoke about Hunts Bank being more akin
 15 to the FCP rather than the RVP. But the reality is on
 16 that night, neither I nor any other operational
 17 commander made efforts to go to it or to arrange an FCP
 18 and that's an error on the night that I totally accept.
 19 Q. That's a very fair concession. Did you ever locate,
 20 that's to say co-locate, with the commanders of the
 21 other emergency responders?
 22 A. No. The commanders for the Greater Manchester Fire and
 23 Rescue Service obviously arrived after Mr Hynes had
 24 taken over my responsibility, so the opportunity
 25 certainly to co-locate with them did not present itself

106

1 to me during my time.
 2 Q. That certainly wasn't your fault as you had ceased to be
 3 operational commander before they even arrived on the
 4 scene.
 5 A. Yes, sir, yes.
 6 Q. But we do know that the Bronze commander for GMP,
 7 Michael Smith, was there and was within the City Room.
 8 Did you co-locate with him at any stage?
 9 A. No.
 10 Q. Did you speak to him at any stage?
 11 A. No.
 12 Q. Did you even know that he was there?
 13 A. No.
 14 Q. The plan provides that:
 15 "The operational commander must ensure regular
 16 multi-agency face-to-face briefings take place."
 17 And I do appreciate that on Station Approach you
 18 were speaking to the more junior officers, but it would
 19 seem to be fair to suggest to you that you didn't ensure
 20 regular multi-agency face-to-face briefings of the sort
 21 that the plan had in mind, namely between commanders?
 22 A. Not between commanders, no. I think you can see there's
 23 a lot of interaction with police officers either from
 24 Greater Manchester Police or British Transport Police
 25 and a lot of interaction with a number of sergeants that

107

1 were in and around the train station — sorry, the
 2 station concourse. But I did not know who the
 3 Bronze commander was for the police.
 4 Q. Can I make plain that everyone will appreciate that you
 5 were very busy from the first moment you arrived, and
 6 I hope that this doesn't feel like nitpicking, but in
 7 a sense we have to test your actions as against the plan
 8 if for no other reason to ensure that lessons are
 9 learned and we work out whether the plan was a good one.
 10 Were you familiar as of 22 May with JESIP?
 11 A. Yes, I was.
 12 Q. And with JOPs?
 13 A. Yes.
 14 Q. And is joint working critical to the effective response
 15 to an incident such as that with which you were
 16 confronted that night?
 17 A. Yes.
 18 SIR JOHN SAUNDERS: That's the perceived wisdom. Why?
 19 A. Because it is a joint effort in responding to the needs
 20 of everybody that's been involved in it, so it has to be
 21 a joint effort, otherwise we work very much in
 22 isolation, and I know there's a point within the
 23 Ambulance Service expert report where they talk about us
 24 working in isolation and I don't actually agree with
 25 that point. I think actually we worked well with the

108

1 police officers that were there. I'm sure the point
 2 that you are coming to the conclusion of is that my role
 3 as operational commander should have meant that I was
 4 speaking directly to the operational commander of the
 5 police and we did not achieve that on the night.
 6 Whilst I think we worked very well together as ---
 7 really, it's three organisations, isn't it, because of
 8 British Transport Police --- I think we worked well
 9 together, we just did not achieve that joint command
 10 position on the night.
 11 SIR JOHN SAUNDERS: So how did that matter on the night as
 12 far as you're concerned?
 13 A. I think, having listened to Inspector Smith's evidence,
 14 I think it would have at least allowed him to have
 15 a shared awareness of what my intentions were. It would
 16 have allowed me to have a greater understanding of what
 17 his asks and intentions were. I think in my statements
 18 I've stated quite clearly that, in part, one of the
 19 reasons that I didn't actively try to seek the
 20 operational commander from the police at first was
 21 because, actually, I felt that the police were
 22 conducting themselves in a fantastic manner and were
 23 really achieving what I personally needed them to
 24 achieve.
 25 I know now, having listened to Inspector Smith's

1 evidence, that actually we weren't achieving what he
 2 wanted us to achieve, and I think if we had got together
 3 on that night, it may not have changed any decision of
 4 mine or his, but it would have meant we had a joint
 5 awareness of each other's intent.
 6 MR GREANEY: So this was exactly the point that I was coming
 7 to and you got there before me. Don't worry. The
 8 reality is that if you'd had direct communication with
 9 Inspector Smith and he had communicated to you the
 10 feelings that he told us about so powerfully, at the
 11 very least you would have taken that into account in
 12 deciding whether to deploy greater resources into the
 13 City Room?
 14 A. Yes.
 15 SIR JOHN SAUNDERS: So the obvious thing is you're
 16 communicating with policemen who are around you,
 17 downstairs, and they're doing what you want them to do.
 18 But actually, isn't the principal purpose of
 19 communicating with Mr Smith that he actually knew the
 20 situation overall from a policing point of view? He
 21 would have better knowledge of the safety of the scene?
 22 A. I don't disagree with anything you are saying, sir.
 23 I freely accept that I should have made --- as I'm sure
 24 inspector should have done --- we should have made a more
 25 concerted effort to get together. I totally accept that

1 he would have had --- I think my view of where he was
 2 positioned is that I would never have put an FCP in the
 3 City Room. That was too close and didn't have
 4 situational awareness outside that was needed because
 5 very soon in the incident it was clear that there was
 6 a lot of patients outside as well as inside.
 7 So I wouldn't have put the FCP where he stood, but
 8 you know, I have freely accepted, sir, it was an error
 9 on my part that I should have made more of an effort to
 10 find out where he was and speak with him.
 11 SIR JOHN SAUNDERS: Thank you.
 12 MR GREANEY: That's a very fair concession to make, if I may
 13 say so.
 14 Could we have that page back on the screen,
 15 Mr Lopez, because I hadn't finished with it.
 16 It continues:
 17 "The operational commander ensures that the tactical
 18 plan is carried out, and that they understand the major
 19 incident strategy. Importantly, they must understand
 20 and be able to discharge their responsibilities within
 21 these. As the operational commander they will provide
 22 leadership and management to the other NWAS functional
 23 role officers and any other direct reports."
 24 That night, and during the hour that you were
 25 operational commander, or thereabouts, was there an NWAS

1 tactical plan of which you were aware?
 2 A. No. Could I expand on that slightly?
 3 Q. Of course you can at any stage.
 4 A. It would be my --- I would not expect one that quickly
 5 into an incident, a tactical plan will take time to
 6 develop. Certainly in the opening hour of an incident,
 7 really, the tactical plan is formed around the action
 8 cards that are set. So whilst in an ideal situation on
 9 a planned event there will be a very clear tactical plan
 10 specific to that incident, I would not expect a tactical
 11 plan to be there, certainly not within the first ---
 12 definitely not within the first half hour of an incident
 13 and I would struggle to see one coming through in the
 14 first hour, really, because it would take time to
 15 develop and actually in that first hour, really, the
 16 tactical plan is to follow your action cards and do your
 17 best for patients.
 18 Q. Why is it going to take, on your evidence, at least
 19 an hour for a tactical plan to be developed in
 20 circumstances in which a bomb has been detonated, there
 21 are people dead and many injured and in desperate need
 22 of treatment?
 23 A. The tactical plan, how it's written there, is often the
 24 result of a TCG being formed, of shared situational
 25 awareness and joint co-location with tactical

1 commanders. So I think actually Inspector Smith
 2 mentioned it, didn't he? That you almost expect the
 3 operational commander to develop the initial operational
 4 and working plan, which will have elements of tactics
 5 and strategic direction within it. Actually, then as
 6 you get into more of a -- it is phrased very badly, but
 7 a battle rhythm in terms of how an incident is then
 8 managed, you are then more likely to get tactical plans.
 9 My experience, because obviously I work at
 10 a tactical level as well, is often if I'm notified of an
 11 incident, often I will give a very -- sort of two lines,
 12 to an operational commander, which is establish
 13 situational awareness and joint co-location, get your
 14 JESIP principles in place. We will then develop
 15 a tactical plan as we go through.
 16 With a no-notice incident like this where we're
 17 suddenly -- I wouldn't have expected Annemarie to be
 18 able to get me a tactical plan in place before I start
 19 my operational plan. We would have been very clearly
 20 delayed.
 21 Q. Thank you for such and full and clear answer. I think
 22 where we've reached is that you weren't aware of the
 23 tactical plan at any relevant time, so you shouldn't --
 24 you weren't able to ensure it was carried out, but you
 25 regard that as entirely understandable because one could

1 not have been produced within the timescale that we are
 2 talking about?
 3 A. In my view, yes.
 4 Q. Was there an operational plan?
 5 A. A written one, no. But I had obviously -- it's my...
 6 It's my responsibility obviously to develop an
 7 operational working plan at scene.
 8 Q. Absolutely.
 9 A. Again, I think when we exercise we tend to try and write
 10 an entire plan, whereas actually my experience of this
 11 incident and others is that you'll do some steps first,
 12 start that action off, and then start to develop other
 13 actions around it in an attempt then to actually build
 14 an operational plan that's working for that particular
 15 incident. So on the night, did I write down an
 16 operational plan? I did not. But did I have sort of
 17 clear steps in my mind as to what I wanted from
 18 particular individuals or what I wanted at scene? Yes.
 19 Q. One of the things that we've been exploring with other
 20 witnesses, GMP witnesses, is the importance of recording
 21 decision-making. I'm not going to suggest for a moment
 22 that it'd be sensible to suggest to you that you should
 23 have stopped what you were doing and started writing
 24 down an operational plan, but would it be a good idea
 25 for the future for somebody in your position, the NWS

1 operational commander, to have some different way of
 2 recording decisions that doesn't take him or her away
 3 from their activities, such as a loggist or
 4 a dictaphone?
 5 A. Yes. I think a dictaphone -- we have issued dictaphones
 6 to our commanders now, we all carry dictaphones with us.
 7 My personal view on this is that a dictaphone, yes,
 8 obviously would assist with that logging. We are just
 9 embarking on body-worn cameras, which you will note from
 10 this inquiry are extremely useful and that would be
 11 something that I think commanders should be moving to.
 12 A loggist, if I'm honest, if you'd asked me before
 13 this night, I'd have said absolutely, but now I just
 14 don't think someone writing anything would keep up. The
 15 decisions are so fast and so quick that anybody trying
 16 to write something would quickly fall behind. It would
 17 become almost impossible.
 18 SIR JOHN SAUNDERS: So it's obviously a benefit to us now if
 19 you have a dictaphone or something written down in
 20 looking at what may have gone better, but actually
 21 at the time of the incident happening, does it help you
 22 manage the incident better and if so how?
 23 A. No, I don't think it does to be honest. I think the
 24 only things that would... No, actually, I don't think
 25 writing things down at the opening of an incident would

1 be beneficial to anybody other than discussions
 2 afterwards.
 3 MR GREANEY: What it might do is to ensure that people do
 4 make decisions when they need to be made -- I'm not
 5 saying that you didn't make decisions -- and also by
 6 expressing their reasons it would force them to analyse
 7 whether they were good reasons. So may it have that
 8 benefit?
 9 A. My honest opinion would be there would be a better way
 10 of doing that and that may be having someone on scene to
 11 do that to a commander. So I don't think writing it
 12 down, and this is just my personal view, I'm not an
 13 expert on major incidents by any stretch of the
 14 imagination, but writing it down on the night would not
 15 be possible. But certainly somebody doing that
 16 challenge behaviour maybe, but I have to go back to this
 17 night and say that decision after decision after
 18 decision in really quick succession, I would find it
 19 difficult even to have someone alongside me to just
 20 explain to them why I have taken that choice. You just
 21 almost have to do it.
 22 Q. That's a helpful insight, thank you. What we're trying
 23 to do, or one of the things we're trying to do, is to
 24 learn from the experiences of people like you who were
 25 there on the night and doing these jobs.

1 A. If I may expand just on that point, that first hour —
 2 obviously, it's incident—dependent — is so quick, but
 3 I do think, and it's not something we tend to train to
 4 do, but I do think there comes a point that perhaps
 5 there's a break, wherever a natural break could happen
 6 in an incident, where there's almost an opportunity to
 7 go back round and say all the things I have done, are
 8 they still correct? We tend to do that at a tactical
 9 and at a strategic level but we perhaps don't do that as
 10 much at an operational level and it may be something
 11 that would be useful in the future.

12 Q. What you said to me along the way of your answer was
 13 that although, understandably not documented, there was
 14 an operational plan, and I'm going to press you a little
 15 on that. Do you mean that at the moment you assume the
 16 responsibility of operational commander, you devised an
 17 operational plan in your own head or was it something
 18 that evolved subsequent to that?

19 A. I think it starts to — well, it probably started even
 20 before I became operational commander. As I'm walking
 21 up — I do know Victoria well, I know the city centre
 22 well, in my mind I'm thinking if ambulances are going to
 23 Thompson Street, what direction are they going to be
 24 coming from, so you even start to think about those
 25 things as you're arriving.

1 Once I became operational commander, separate
 2 obviously to the ambulance crew, and wanting to know
 3 what was happening on the other side of the arena, one
 4 of the early things I asked Mr Poland to do is to go out
 5 to the front and I was really conscious that I'd already
 6 seen quite a lot of, not being critical, but poor
 7 parking on that front road. I thought if we lost that
 8 road to ambulances it would make the incident a lot more
 9 difficult to manage.

10 Q. By road, are you talking about Station Approach?

11 A. Yes, Station Approach outside. So I was very conscious
 12 almost immediately that I wanted that road being kept
 13 clear because if we'd lost that, if we'd blocked that
 14 road, we would have caused serious problems to the
 15 operation if we were to remain at the train station. So
 16 there's things like that being developed constantly in
 17 my mind.

18 Q. I do want to know more about your operational plan but
 19 I suspect that I am better off probing that further once
 20 we've got to the point at which you have received
 21 information from Paddy Ennis. So we'll just leave that
 22 for now.

23 Before we depart from the plan, I want to ask you
 24 about one further aspect of it. The key communication
 25 lines and partnerships for the operational commander are

1 operational commanders from multi—agency partners, so
 2 that's just reinforcing the idea of joint working. We
 3 won't go over that again. Then there are a series of
 4 other persons or categories of person listed.

5 Was it your responsibility as operational commander
 6 at the scene to set up a command structure in relation
 7 to at least some of these roles?

8 A. Yes, most of them.

9 Q. So obviously it wasn't your job to appoint the tactical
 10 commander?

11 A. No.

12 Q. And Annemarie Rooney had already assumed that role. But
 13 I just want to run through this list and identify which
 14 of these people you did appoint.

15 First of all, casualty clearing officer. Did you
 16 appoint such a person?

17 A. Yes.

18 Q. Who was that?

19 A. Mr Birchenough, James Birchenough.

20 Q. Casualty clearing medical lead. Did you appoint such
 21 a person?

22 A. I asked Dr Eddie Tunn to oversee medical provision
 23 within the casualty clearing station. If I'm honest,
 24 I don't think I specifically said, "You are the casualty
 25 clearing station medical lead", but certainly he was

1 aware that he was overseeing the medical provision
 2 within the casualty clearing station.

3 SIR JOHN SAUNDERS: Just repeat the name, Dr?

4 A. Eddie Tunn.

5 MR GREANEY: Primary triage officer?

6 A. Yes.

7 Q. Who did you appoint to that role?

8 A. Joanne Hedges.

9 Q. Was there a secondary triage officer?

10 A. No.

11 Q. On reflection, would it have been better if there was?

12 A. Secondary triage is around the re—triage within the
 13 casualty clearing station. I think relatively quickly
 14 we were quite comfortable that patients were receiving
 15 care within that area. But it is within the plan. I am
 16 conscious that I believe the expert report sort of
 17 discusses that it can be excluded if it's required and
 18 they didn't see any issue with it. My view on the night
 19 was that we had clear triage processes in place,
 20 certainly at the casualty clearing station, and they
 21 were being adhered to.

22 SIR JOHN SAUNDERS: I just need to know: does that mean you
 23 gave it positive consideration and decided not needed or
 24 it just didn't come up in your mind?

25 A. Yes. There was a point, as I said, towards the end of

1 my time as operational commander that I did refer to the
 2 action card and these are obviously listed on there, and
 3 it was a positive decision not to do that, yes.
 4 MR GREANEY: Parking officer. I think you appointed
 5 Derek Poland to that role?
 6 A. Yes, at scene, but often a parking officer is away from
 7 scene as well so there was a further parking officer
 8 appointed at a tactical level for the rendezvous point
 9 at Thompson Street.
 10 Q. Was that person appointed by the tactical commander,
 11 Annemarie Rooney?
 12 A. Yes, I think via the operations centre, but yes, away
 13 from scene.
 14 Q. But at scene you appointed Mr Poland?
 15 A. Yes.
 16 Q. Loading officer. Was there a loading officer?
 17 A. There was. That was Matt Calderbank.
 18 Q. And then safety officer? Before you tell us whether
 19 there was one, what is the role of safety officer?
 20 A. So a safety officer — basically to provide a written
 21 risk assessment or to assist the commanders. They're
 22 a direct line to the operational commander. They
 23 provide a risk assessment of risks on scene as they see
 24 them, to support the operational commander in the risk
 25 management, and then they provide a role in terms of

121

1 ensuring that any risk mitigation that's put in place is
 2 being adhered to —
 3 Q. Such as PPE?
 4 A. Yes, so helmets or cordons, that sort of thing.
 5 Q. In any situation in which a bomb had exploded in the
 6 City Room and in which — did it occur to you there was
 7 a possibility of secondary devices?
 8 A. Yes.
 9 Q. There was a role for a safety officer?
 10 A. Yes.
 11 Q. Did you appoint a safety officer?
 12 A. I did not.
 13 Q. Why not?
 14 A. It was an omission on my part. This isn't me offering
 15 an excuse. I have never actually been at a scene where
 16 a safety officer was in place. It was just something
 17 that did not enter my head and obviously, as I say,
 18 towards the end of my time, I reviewed this, I did note
 19 the safety officer but just did not take steps. That's
 20 an omission again.
 21 Q. That's a fairly made concession. But I think later on,
 22 when you were making decisions about whether to deploy
 23 staff into the City Room, the question of whether they
 24 would be exposed to a risk by going there was one that
 25 was part of your consideration?

122

1 A. Yes.
 2 Q. And from what you've said, if there had been a safety
 3 officer reporting directly on that issue of risk, you
 4 would have been better informed?
 5 A. I'm not convinced I would have been better informed.
 6 There would have been somebody in a role specifically
 7 considering risk, but I can't say, because I didn't
 8 appoint them, but whether they would know any different
 9 information to what I knew on the night — so I can't
 10 say. I don't think I'd agree that I would be better
 11 informed by a safety officer. It would have been better
 12 or more robustly documented because their role is to
 13 write down a risk assessment and they may have
 14 supported, but their role isn't to manage the risk. So
 15 their role is to identify and risk assess, but it still
 16 falls under my decision—making whether someone moves
 17 forward or not.
 18 Q. Absolutely, but in order to make that decision, you need
 19 information, don't you, about risk?
 20 A. Yes.
 21 Q. In terms of becoming informed, we know you didn't ever
 22 speak to the Bronze commander for GMP who was in the
 23 room. Did you ever visit the City Room yourself?
 24 A. No.
 25 Q. And upon Paddy Ennis going back into the City Room at

123

1 11.05, did you speak to him again at a relevant time?
 2 A. My recollection is that we did, and I know there's no
 3 recording of the radio transmission between us, but my
 4 recollection is we did have. There's nothing to show
 5 that, so ... whether that is a poor memory of mine
 6 because one thing I've noted throughout this really
 7 is that memories are very different to what happened.
 8 So something that's been good to see through this
 9 process with the CCTV is that it almost — it will
 10 dispel some of my memories from the night that were
 11 quite clear but were actually not quite accurate.
 12 I thought I'd spoken to Paddy on the radio, but
 13 there's no evidence to suggest that happened, so I don't
 14 think we did.
 15 Q. Just putting that recollection to one side, which you're
 16 fairly accepting may well not be correct, where was the
 17 source of reliable information for you about risk in the
 18 City Room?
 19 A. Paddy Ennis. And also other officers. So you know,
 20 we were getting information from police officers down in
 21 the concourse area of Victoria Train Station and from
 22 armed officers that had arrived. So there was
 23 information down there being provided to me. At one
 24 point I remember asking — I think it was one of the
 25 armed officers — what the actual concert was because

124

1 I wasn't aware what the event was. They told me and so
 2 we were gaining information all the time from
 3 downstairs.
 4 Q. It seems, from what you have said, the source of
 5 information was that very short conversation you had
 6 with Paddy Ennis --
 7 A. Yes.
 8 Q. -- at 23.01 and what you were picking up from the
 9 constables and sergeants who were coming from the
 10 City Room to where you were?
 11 A. Yes.
 12 Q. We'll just finish off this point and then I'll suggest
 13 to the chairman that we break for lunch.
 14 The HART team leader. I think it wasn't necessary
 15 for you to appoint a HART team leader because that was
 16 already Mr Beswick?
 17 A. They're already appointed, but yes they were there.
 18 Q. I don't know whether, but I am quite confident
 19 irrelevance that night, a decontamination officer was an
 20 irrelevance that night?
 21 A. Yes.
 22 Q. And an equipment officer?
 23 A. No, I didn't appoint one.
 24 Q. And a forward doctor. What is that and did you appoint
 25 one?

125

1 A. A forward doctor is somebody that would move forward
 2 almost from the FCP forward into an incident if it was
 3 required and, no, I didn't appoint one.
 4 MR GREANEY: I'm next going to return to where I said
 5 I would, namely your conversation with Paddy Ennis and
 6 ask you about what passed between the two of you. That,
 7 sir, is something better dealt with after lunch.
 8 SIR JOHN SAUNDERS: Thank you. One hour. Is that all right
 9 for you?
 10 A. Yes, thank you.
 11 (1.12 pm)
 12 (The lunch adjournment)
 13 (2.10 pm)
 14 MR GREANEY: Thank you, sir.
 15 Mr Smith, as I've said, we'll turn next to
 16 a conversation that you had with Paddy Ennis. What we
 17 know, and you will know from watching his evidence,
 18 is that he had entered the City Room at 22.52, going
 19 into 22.53, and left at just before 23.00 hours.
 20 He then spoke to you at 23.01 before returning to
 21 the City Room at 23.05. We'll just have on screen,
 22 Mr Lopez, that image we had earlier, {INQ035612/183}.
 23 This is your discussion with him.
 24 The discussion he had with you as a matter of fact
 25 was exactly 30 minutes after the explosion had occurred.

126

1 You're nodding your head?
 2 A. Yes.
 3 Q. Again, as a matter of fact, that's the period that by
 4 that stage people had been injured and in need of
 5 treatment. So some time had already passed is the point
 6 I'm making.
 7 A. Yes, sir.
 8 Q. When Paddy Ennis came to you at 23.01, did you know from
 9 where he had come?
 10 A. I'm not sure I did, actually, when he approached me, but
 11 he made it clear where he'd come from during that
 12 conversation.
 13 Q. Let's go to that. Could you do your best to tell us in
 14 your own words, and I will try not to interrupt, what he
 15 said to you and what you said to him?
 16 A. Obviously, I couldn't confirm the exact content of the
 17 conversation. I think it's best summarised that --
 18 summarised -- sorry, I'm not -- I'm shortening what he
 19 told me. I was certainly aware by the end of the
 20 conversation that he had come from what we now know to
 21 be the City Room -- I still don't think we called it the
 22 City Room on the night. So I was aware of where the
 23 main casualties, as he had seen them -- because
 24 obviously this is still very early, this is 1 minute
 25 after I have arrived on scene so I was still very aware

127

1 that there were patients around. So I was aware that
 2 he had come from the City Room.
 3 I was already aware that a suicide or potential
 4 suicide bomber had been involved, but he certainly
 5 confirmed that to me. He confirmed that obviously, very
 6 tragically, there had been a loss of life and I think
 7 that was a key piece of information to me because, as
 8 ridiculous as it probably sounds to everybody listening
 9 to me now, at that point I'm not convinced I was fully
 10 sort of appreciating the gravity of the situation that
 11 we were dealing with, albeit we'd been given the
 12 information. A key moment for me was his message of
 13 "fatalities", which just brought home, I suppose to me,
 14 what we were dealing with and the gravity of what
 15 we were dealing with.
 16 I'm not 100% sure he gave me exact numbers. But he
 17 certainly made me aware of a number of priority 1
 18 patients. I didn't question him at that point on
 19 whether he had formally assessed them as priority 1,
 20 I made the assumption that he had either triaged them or
 21 was making a visual judgement of priority 1 patients.
 22 But it certainly again indicated -- I was aware at the
 23 end of the conversation that we had a number of
 24 seriously injured patients in that area of the arena.
 25 We had a discussion or by the end of that

128

1 conversation I had taken my thought towards where
 2 we were going to move those patients to.
 3 Q. Pause there. Obviously I'm interested to establish
 4 (overspeaking) and as a starting point I just want to
 5 understand what was said between the two of you.
 6 A. Certainly that we would be moving the patients, so my
 7 thoughts had turned to casualty clearing and where
 8 we were going to manage the ongoing care of the
 9 patients. And we had, I guess provisionally, actually,
 10 at that point, but certainly I'd made clear by the end
 11 of that conversation the casualty clearing was very
 12 likely to be on the concourse of the Victoria Train
 13 Station and certainly from seeing the CCTV evidence, and
 14 during that conversation I'm almost pointing towards the
 15 area that I thought would be adequate for a casualty
 16 clearing station.
 17 Q. We're going to see some images in a short time of you
 18 not at that moment but shortly afterwards apparently
 19 directing where activity was to take place. Let me be
 20 clear about where we've reached. By the end of your
 21 discussion with Paddy Ennis, you knew that the seat of
 22 the explosion was the City Room, even if you didn't know
 23 it as such at that stage?
 24 A. Yes.
 25 Q. You knew that there were people who were dead in that

129

1 room?
 2 A. Yes.
 3 Q. And you knew a number of people were dead in that room?
 4 A. A number, yes. He didn't give me -- he didn't specify
 5 a number but he certainly told me fatalities.
 6 Q. A number of fatalities?
 7 A. Yes.
 8 Q. You knew that there were other people in that room in
 9 need of urgent medical treatment?
 10 A. Yes.
 11 Q. Did you also know that Paddy Ennis, having left the
 12 City Room, there was no other paramedic, in fact no
 13 paramedic, in that area?
 14 A. No, I don't think I did know that at that point, no. To
 15 expand on that, did I ask that question, "Who's up there
 16 with you"? No, I didn't. I knew that Paddy was on
 17 scene, I was not aware of any other NWS personnel on
 18 scene at that point other than those that had been to
 19 me. But I don't think I specifically said, "Are you on
 20 your own?"
 21 Q. So can I put it this way: what was your working
 22 assumption? Was it that on Paddy going back into that
 23 room, he would be the only paramedic, or that he would
 24 be there and others might be, or didn't you know?
 25 A. I think, looking back now, I think my view was that

130

1 he was on his own.
 2 Q. As we know, you were right. In the circumstances, as
 3 they were presented to you, was there an urgent need to
 4 treat those who were present in that room or at least
 5 some of them?
 6 A. I think there was -- I knew that there were seriously
 7 injured patients in that room, and obviously part of
 8 what we needed to do was provide them with care and
 9 treatment.
 10 Q. And to do so urgently?
 11 A. To set up the system to do so urgently. I think you've
 12 heard other evidence, but part of my job at scene is not
 13 necessarily -- and I totally appreciate that this will
 14 seem strange to people, but it's not necessarily to
 15 direct immediate care and treatment but it is to start
 16 setting up the system to enable us to manage all the
 17 patients, not just those in the City Room, there were
 18 patients elsewhere --
 19 SIR JOHN SAUNDERS: Let's take it step by step. I think
 20 you're answering the next question in a way.
 21 A. Sorry.
 22 SIR JOHN SAUNDERS: No, no, it's all right. How they were
 23 going to be treated is the next question, but you didn't
 24 know at that time that there were a number of patients
 25 who required urgent treatment, and then you had to

131

1 decide how best to do it?
 2 A. I did know, yes.
 3 MR GREANEY: And was it your job to ensure that those who
 4 required urgent treatment got it as soon as possible?
 5 A. Yes.
 6 Q. In those circumstances, and bearing in mind you were
 7 working on the basis that only Paddy Ennis was in there,
 8 should it have been your priority to get paramedics in
 9 numbers into the City Room?
 10 A. It should have been my priority to set up the correct
 11 system to manage those patients. I'm not trying to
 12 deflect the question, such as I then had to -- or was
 13 required to -- turn my mind to how we were going to
 14 provide that urgent treatment. An option would be,
 15 obviously, to send lots of paramedics into the
 16 City Room, an option would be -- there are a million
 17 options that were available to me. My job on that
 18 scene, as the operational commander, was to establish
 19 command and control, all the things that have already
 20 been mentioned, and as part of that establish the
 21 correct and best possible system for those patients.
 22 I don't think I'd agree that it immediately translates
 23 that I have to send lots of paramedics into that room or
 24 lots of professional clinicians into that room. It
 25 translates that I have to set up the correct system to

132

1 manage that incident.
 2 Q. You say there are millions of options. In broad terms,
 3 aren't there two options? You either provide initial
 4 treatment in the City Room or you get the casualties to
 5 somewhere else where they're treated? Those are the
 6 options?
 7 A. Yes, but obviously we're a minute into the incident at
 8 this point and whilst the City Room, as we now know, was
 9 the main focus, I had a much bigger scene to be
 10 concentrating on.
 11 Q. Can you pause there for a moment? This had been an
 12 explosion, as you knew in the City Room. If casualties
 13 had managed to leave the City Room and go to
 14 Trinity Way, logically they were going to be less
 15 injured than others who were still in the City Room. Do
 16 you agree?
 17 A. Um... No. I think 1 minute into the incident for me,
 18 I don't think that was completely clear because, yes, an
 19 explosion had happened in the City Room but I was not
 20 clear enough on the incident and in fact, as we know,
 21 a critical patient did go out a different way to the
 22 City Room, to the Victoria concourse. So no, I don't
 23 think it's fair that within a minute I was totally aware
 24 that all our critical patients are in the City Room.
 25 It is obviously clear that there were a number in there,

1 but I did have a broader scene that I had to think
 2 about.
 3 Q. Can I just ask you to reflect on that answer for
 4 a moment? You had been told of one explosion and only
 5 one explosion?
 6 A. Yes.
 7 Q. And you knew that was in the City Room or you did by
 8 11.01 or shortly afterwards?
 9 A. I knew that an explosion had happened in the City Room.
 10 I don't think -- within a minute of getting there I'm
 11 not convinced that I was totally clear that that was our
 12 only site of patients.
 13 Q. It wasn't the only site of patients, and that I entirely
 14 accept, but was it not obvious that most of the most
 15 seriously injured, and that therefore most of those in
 16 need of urgent treatment, were going to be in the
 17 City Room where the bomb had exploded?
 18 A. Where a bomb -- no, I don't think it was obvious.
 19 I know that sounds... I know that sounds really
 20 difficult. But at a minute into it, yes, I'd been told
 21 there had been an explosion, but obviously other things
 22 were being mentioned at the time. I needed to
 23 understand what was happening at that scene and, yes,
 24 I was aware with Paddy about patients in the City Room
 25 and that there had been an explosion in there. But

1 I don't think I was clear at all that that was the only
 2 site of injury at that point. Obviously it became clear
 3 as the incident progressed, as other patients weren't
 4 presenting elsewhere, that that was the site. But
 5 I think at 1 minute past, within a minute of arrival,
 6 I wasn't totally confident that this was the only
 7 ongoing incident in the arena.
 8 SIR JOHN SAUNDERS: Did you ask Paddy about that? He was
 9 the first on the scene and would be the scene commander,
 10 as it were, before you got there.
 11 A. No, because I knew -- well, we did discuss actually that
 12 it had been an explosion and I think we even -- he did
 13 mention or we discussed certainly shrapnel. But Paddy
 14 was giving me information about the City Room at the
 15 time, it was important for me to understand if there was
 16 anything else going on. That isn't about just me not
 17 sending in paramedics to the City Room, but it is -- it
 18 was important for me to establish if anything else was
 19 going on, and I did indeed speak to, again whether it
 20 was a sergeant or a PC, asking if anything else was
 21 going on elsewhere to his knowledge because, as far as
 22 I was aware, you know -- sorry, not as far as I was
 23 aware -- the arena is a very large venue and whilst an
 24 explosion had occurred in the City Room, other things
 25 could have happened or been happening.

1 MR GREANEY: So accepting that at 23.01, having been
 2 confronted with an appalling reality, it took you even
 3 as an experienced senior paramedic time to process, but
 4 by 23.05 or 23.10, don't you think that you should have
 5 been saying to yourself, "Now is the moment to make sure
 6 we get paramedics in numbers into that City Room"?
 7 A. I think it's probably safe to say that by approximately
 8 23.10 I was probably clearer on what was happening
 9 around the arena. So if the question is: by 23.10
 10 approximately was I more confident that the City Room
 11 was the main site for me to be dealing with, then yes,
 12 I was. But then I obviously have to then turn to our
 13 processes for managing that type of incident. So I was
 14 aware obviously that there was an explosion, that this
 15 was --
 16 Q. Did your processes prevent you from sending further
 17 paramedics into that room?
 18 A. In my view, yes.
 19 Q. How can that be so when at 23.15, two HART operatives
 20 did go in?
 21 A. Sorry, actually my processes really say that I, at the
 22 time, should not have allowed Paddy to go back into that
 23 room. By 23.15, as HART operatives arrive, they are
 24 a different resource available to me, so they do then
 25 provide -- there was a potential for extra --

1 Q. We know about what they provide — sorry, I didn't want
 2 to cut you off and I have jumped ahead to 23.15, which
 3 I don't want to. Let's stick to 23.10 for the time
 4 being.
 5 By that stage, the information to you has increased,
 6 your thoughts have had an opportunity to process, and by
 7 that stage you know that the issue, or at least the main
 8 issue, for you to confront is that City Room, do you
 9 not?
 10 A. Yes.
 11 Q. You know that you have multiple casualties in that room,
 12 including P1s?
 13 A. Yes.
 14 Q. And you know or you believe that there is just a single
 15 paramedic in there with them?
 16 A. Yes.
 17 Q. Obviously there are others in there, but in terms of
 18 NWAS resources, there is one paramedic. By that stage,
 19 was it not crying out for you to send further paramedics
 20 into that room, and if not, why not?
 21 A. In my view, the policies and procedures, or the
 22 procedures that I am permitted to follow at the time,
 23 did not allow for the deployment of any of the resources
 24 that I had at scene into the City Room. I qualify that
 25 by saying that HART operatives are able to work in —

1 and I know there's been a lot of discussion around
 2 whether it was a warm zone, an inner cordon —
 3 Q. We'll get to that. Just make the point you wanted to
 4 make.
 5 A. The options available to me are dependent on that,
 6 whether it's zoning or whether you want to call it an
 7 inner cordon, in terms of a major incident response, the
 8 options available to me — and I do understand
 9 completely the thought process of wanting or needing
 10 lots of paramedics in that room, but the processes
 11 available to me to do that — or my view is that the
 12 processes restricted me from doing that.
 13 Q. I just want to unpick that, but thank you for such
 14 a full and clear answer. Should I understand from the
 15 answer you have given that at that time, so 23.10,
 16 before there is any HART operative there, if it hadn't
 17 been for the processes you described, you would have
 18 deployed more paramedics into that room?
 19 A. Not necessarily I would have deployed. The options
 20 available to me (overspeaking) —
 21 Q. Why wouldn't you have deployed more into the room?
 22 A. I would have — it would have depended on the risks and
 23 the ability of those that were with me. So at 23.10,
 24 the resources that I had available to me didn't
 25 obviously include the HART team, but did include some

1 clinicians downstairs. My role is to make sure that
 2 I've got the command functions in place to make sure
 3 that I've got triage in place. We obviously had
 4 patients already attending at the casualty clearing
 5 station, so there were patients. So I would have needed
 6 to have — if I was going to deploy into that room,
 7 it would need to take a process for me to understand the
 8 need for it, and you know, the need for it is obviously
 9 the patients within the room, but also the risks
 10 associated with it.
 11 My operational plan, though, at 4 minutes past,
 12 5 minutes past, was that patients needed to come out of
 13 that room.
 14 Q. I promise you, I'm going to get to whether that was the
 15 right decision in the circumstances. May I assure you
 16 again, everyone will understand the pressure under which
 17 you were operating and I acknowledge that here we are,
 18 more than 4 years later, spending hours poring over
 19 decisions you were making in seconds. Please don't
 20 think that I overlook that.
 21 But the upshot of your decision—making that night
 22 was that between 23.05 and 23.15, with many, many
 23 casualties, including P1s in there, there was a single
 24 paramedic. And thereafter, between 23.15 and 23.40,
 25 when the final casualty who could be helped started to

1 be removed from the City Room, there were just three
 2 paramedics in there and one was not providing any
 3 treatment at all, for reasons he's explained.
 4 Can you understand why, looking at those bare facts,
 5 many would say that just isn't right, there should have
 6 been more in there? Can you see that?
 7 A. Of course.
 8 Q. Is that the right reaction to the set of circumstances
 9 I have just described?
 10 A. I think the expectations will always be that we will
 11 send multiple resources in to an incident scene like
 12 that. The reality, unfortunately, since I started
 13 training as a paramedic, has been that we would not, and
 14 that was the reason from my understanding of the 7/7
 15 inquests, that that was the reason for the HART team
 16 deployment — not deployment, sorry, the reason that the
 17 HART team were brought about was for that area working,
 18 because you know, as I say, since I started training as
 19 a paramedic, the thoughts have always been that
 20 paramedics don't work in that inner cordon area.
 21 Of course, I understand the reason for the questions
 22 you're asking, but that has unfortunately been always
 23 our treatment pathway.
 24 Q. Let's just take a step back and see if we can agree
 25 about this. First of all, on what you now know, would

1 it have been better for there to have been more
 2 paramedics in that room treating patients or would it
 3 have been beneficial?
 4 A. I can't say that -- yes, yes, it would.
 5 Q. Wasn't that obvious to you at the time that it would be
 6 beneficial to have more paramedics in that room?
 7 A. I'm not convinced at the time I was...
 8 (Pause)
 9 SIR JOHN SAUNDERS: Let's put it this way, you wouldn't not
 10 send them in unless there was a good reason not to?
 11 A. Yes, that's a reasonable thing to say, yes.
 12 MR GREANEY: The reason not to was because you didn't think
 13 that you could deploy people apart from HART operatives
 14 into that area?
 15 A. Yes.
 16 SIR JOHN SAUNDERS: I need to be really clear on this:
 17 is that the sole reason or is it, "I've got to
 18 concentrate first of all on setting up the
 19 casualty clearing centre"?
 20 A. By 5 past again, sir, I've been there 5 minutes.
 21 Certainly part of the decision-making is we do not
 22 deploy into, whether you term it warm zone or inner
 23 cordon, we do not deploy non-HART operatives into that
 24 area. So that is part of the decision-making. But
 25 actually, at that time, the resources available to me

141

1 are also needed to establish things downstairs as well.
 2 So it's multi-faceted. I try and give reasons for
 3 a decision that was clearly a huge decision for me to
 4 take and it's something that I have to try and go
 5 through now to try and explain. There are multiple
 6 needs for clinicians on scene.
 7 SIR JOHN SAUNDERS: Your red line is, "I don't send ordinary
 8 paramedics into a hot zone, I just send HART"?
 9 A. Yes.
 10 MR GREANEY: Was it your view at the time, to pick up on
 11 a point the chairman was exploring this morning and
 12 yesterday, that there existed any discretion to send
 13 non-HART operatives into the inner cordon?
 14 A. I did listen to Paddy's evidence, but my view, my
 15 training at the time is that there was no discretion,
 16 that the policies and procedures were clear on that
 17 fact, that we do not deploy -- we should not, we must
 18 not deploy into warm zones. [REDACTED]
 19 [REDACTED]
 [REDACTED]
 [REDACTED]
 [REDACTED] and I think

142

1 some of the evidence in this inquiry has been very stuck
 2 on where zones finished, where they didn't, how quickly
 3 they can be reviewed. [REDACTED]
 4 [REDACTED]
 [REDACTED]
 [REDACTED].
 9 SIR JOHN SAUNDERS: If you think about it, the consequence
 10 of that is, if the HART zones are not available, they're
 11 just not going to get there, you say no one goes in?
 12 Is that really what you were thinking or would you
 13 think?
 14 A. Well, officially yes. Officially, that is what
 15 we were -- that is what we're asked to do (overspeaking)
 16 --
 17 SIR JOHN SAUNDERS: What Paddy Ennis says is it's a plan,
 18 it's a guide, but everybody knows that in certain
 19 circumstances you don't stick to it.
 20 A. Yes. I'm not convinced that has been my training, sir,
 21 if I'm honest, certainly from a command perspective.
 22 And I think there's an important point there in that
 23 Paddy is an extremely experienced and excellent
 24 paramedic, but not a trained commander as such, and in
 25 my command training I think there was a very big

143

1 emphasis -- and I do not -- you know, I do not
 2 necessarily agree with it, but I think there was a very
 3 big emphasis on those zones, those rules, and hard as
 4 it is for me to say, when I walked away from that
 5 incident, I thought the criticism would be that
 6 I allowed Paddy to stay in that room, and that's the
 7 irony of the discussion we're having now --
 8 SIR JOHN SAUNDERS: They are inconsistent, those two things?
 9 A. They are.
 10 SIR JOHN SAUNDERS: I am sorry to interrupt you, Mr Greaney.
 11 MR GREANEY: No, no, sir, you carry on.
 12 SIR JOHN SAUNDERS: If the rules -- if the plan was as it is
 13 now, would you have sent them in?
 14 A. I would have felt a lot more confident -- not confident,
 15 comfortable sending in extra paramedics. I will say,
 16 though, part of my plan also is that that area is not
 17 a good area for care of patients. So my plan would have
 18 always been, no matter who I could send in there, move
 19 those patients quickly. So I would never have
 20 established, in my view, a CCP or a CCS in that area,
 21 and I appreciate -- I'll be getting ahead, sorry.
 22 MR GREANEY: We're going to go on to CCS and CCP. I have
 23 often confused myself about the difference and I'm going
 24 to seek your help. I just want to get to the bottom of
 25 this issue to the extent that we can.

144

1 I'm sure everyone will sense that you are trying to
 2 help us to understand. From what you're saying, it
 3 seems as if at the time you felt in something of
 4 a dilemma, that on the one hand you knew that there were
 5 in that room people urgently in need of medical
 6 treatment, even to the extent of needing it to save
 7 their lives, whilst on the other hand believing that the
 8 procedure that existed, the plan, didn't permit you to
 9 send them in? Have I captured how you were feeling
 10 at the time?
 11 A. I think so. I think... A long explanation for
 12 decisions that probably took seconds. It was a rapidly
 13 moving incident, but certainly part of my decisions were
 14 around the fact that for deployments into warm zones,
 15 explosion sites, my available resources really were
 16 HART.
 17 Q. Did the thought occur to you at the time that if you
 18 went against the plan as you understood it, and you did
 19 deploy resources into that area, it might have adverse
 20 consequences for you, that you'd get into trouble?
 21 A. I'm not sure it's more about trouble, but certainly ...
 22 No, at the time I made the decision, I wasn't thinking
 23 about criticism, I was thinking about procedures and my
 24 training. Certainly afterwards, which is the comment
 25 I made before, when I walked away from that incident, at

1 05.30 in the morning, obviously things are going round
 2 in your mind and I expected criticism for allowing Paddy
 3 to remain in that room, because officially he shouldn't
 4 have been in there and I should have told him to stay
 5 out.
 6 Q. Bearing in mind that a very important part of your
 7 thought process was the risk that anyone going into this
 8 room would be at, was it important that you should have
 9 a clear understanding of what that risk was? A rather
 10 clumsy question but I hope you understand what I'm
 11 driving at.
 12 A. I do, yes.
 13 Q. Because that was the thing or an important thing that
 14 was inhibiting more paramedics going in?
 15 A. It was. But actually, I think as much as I've
 16 criticised perhaps the JOPs that were in existence
 17 at the time, the reality is a previous presence of
 18 a terrorist and obviously the consequence of the bomb
 19 that we saw defined it as a warm zone. It was almost
 20 a given, to be honest, because it's not anything that --
 21 it's not even something that would be ambiguous in my
 22 view, and this is obviously my view of the policies.
 23 Q. We understand that.
 24 A. It's not ambiguous, you know: a terrorist has been
 25 active in that area.

1 Q. So automatically it's inner cordon?
 2 A. That's my view of the training we received at the time,
 3 yes.
 4 Q. What we know is that by the time you're there, armed
 5 police effectively have got that room under control.
 6 Paddy Ennis felt safe there. Others felt safe there.
 7 Did you know that?
 8 A. I was aware of the armed police. My -- I think my worry
 9 on -- not my worry, I think my view on scene around the
 10 armed police is that they were very present very quickly
 11 in numbers and that the potential for danger from --
 12 again, at the time, a lot of training around marauding
 13 terrorists with firearms. I felt relatively quickly
 14 comfortable around the threat of firearms, but not
 15 around the threat of further devices and not around the
 16 threat -- or not threat, sorry, not around the risk of
 17 the detonation having occurred in the room and the
 18 subsequent damage that will have caused. So there are
 19 numerous --
 20 Q. Do you mean structural damage that might have caused
 21 some form of collapse?
 22 A. Yes. So it would -- I've been a paramedic for many
 23 years and, you know, we don't treat people in the middle
 24 of an explosion site, whether that's a -- we would move
 25 them very quickly.

1 SIR JOHN SAUNDERS: Okay, that's a good reason for not
 2 treating in there and moving them, but the structural
 3 damage is not of itself a reason for not sending
 4 paramedics in?
 5 A. It's part of the risk -- no, no, but it wouldn't be for
 6 not sending in (overspeaking) but it's part of the risk.
 7 I'd have to understand on any incident, this formed a
 8 part -- I would have to understand the risk to the
 9 responders. And again I have to say that -- and I think
 10 we are different now, but I do think the training at the
 11 time very much, obviously, concentrated on patients,
 12 concentrated on systems, but did also concentrate on our
 13 obligations as commanders, the deployment of personnel
 14 into a dangerous area, and something happening --
 15 SIR JOHN SAUNDERS: Okay, the safety of the rescuers is
 16 clearly an important matter.
 17 A. Yes.
 18 SIR JOHN SAUNDERS: I just think, just to -- I think both
 19 Inspector Smith and Mr Ennis, the phrase they used was
 20 "safe enough". And I think there is a distinction
 21 between they felt safe and they felt safe enough.
 22 MR GREANEY: You're probably quite right to put me right,
 23 sir.
 24 The way in which I have expressed the situation that
 25 the chairman's just described, or something similar,

1 is that there's warm and there's warm. So there's warm
 2 in the sense that a terrorist has just been through that
 3 room and there's warm in the sense that armed police
 4 have got that room locked down, although there remains
 5 a risk of a secondary device. The risk in those two
 6 scenarios is obviously different, albeit both may be
 7 warm. Do you understand my logic?
 8 A. I do, and I think in one of my statements, and it's
 9 probably a term I shouldn't have used, I called
 10 downstairs "warmish" because --
 11 Q. Exactly.
 12 A. For me, downstairs, again, you know, armed police were
 13 ever-present and, for me, the risk downstairs was again
 14 lower than it was upstairs. In part, that was to do
 15 with obviously the damage and the presence of the
 16 explosive devices within that room but also because we
 17 had a very clear concourse on my arrival, which was
 18 cordoned off relatively quickly.
 19 Q. It seems that -- and this is not a criticism of you --
 20 it seems as if your view was that even though the room
 21 was warmish, because there was an armed police
 22 lockdown -- you want to say something and I will let
 23 you.
 24 A. Sorry, my warmish comment was about downstairs. Warm is
 25 upstairs, sorry.

1 Q. I have understood that. If I were to suggest it was
 2 warmish upstairs because of the armed presence, is that
 3 something you would take issue with, still warm but
 4 warmish?
 5 A. I think because I knew the terrorist had been in that
 6 room and detonated a device in that room, my view
 7 is that the policies aren't ambiguous on that and
 8 that is a warm zone. You know, I didn't know which way
 9 the terrorist had been in, so by very definition I could
 10 have said downstairs was cold because I didn't know
 11 which way he walked in. But for me, it was a warmish
 12 zone downstairs, but I'd have to call it warm upstairs,
 13 I'm sorry.
 14 SIR JOHN SAUNDERS: That is actually up the stairs. We
 15 heard from other paramedics that they were told, "You're
 16 not to go up the stairs". The bridge, was that warm?
 17 A. I think ...
 18 SIR JOHN SAUNDERS: Or is there another reason for saying,
 19 "Don't go upstairs"?
 20 A. I think the stairs -- from my perspective on the night,
 21 I think upstairs was warm, and I get your point around
 22 the bridge. I think the stairs were just used as
 23 a geographical point of ease to say, "That is where the
 24 two zones are".
 25 MR GREANEY: I suspect I've taken this as far as I can. The

1 reality of the situation is that because, according to
 2 the definition, the City Room was warm, that prevented
 3 the deployment of anyone apart from HART into that area?
 4 A. Yes.
 5 SIR JOHN SAUNDERS: What I would like to see at some time is
 6 some sort of analysis of the major incident plan to see
 7 whether it is clear there that it is discretionary,
 8 a discretion exists, or whether -- you don't need to do
 9 it now because I am still reading the document(?), but
 10 whether it is in absolute terms there, which is what you
 11 understood it to be or whether it could be read in
 12 a different way.
 13 A. I think it may have been more beneficial than the JOPs,
 14 sir.
 15 SIR JOHN SAUNDERS: Yes, but I thought you were actually
 16 using the major incident plan rather than the Plato
 17 JOPs.
 18 A. The zoning would be from the JOPs, really, but I think
 19 our major incident plan refers to the JOPs.
 20 SIR JOHN SAUNDERS: When you've been talking about inner
 21 cordon which is your major incident plan?
 22 A. That was the plan, yes.
 23 MR GREANEY: Paragraph 9.5.2 of the major incident response
 24 plan, {INQ013132/42}, addresses the role of HART but
 25 we'll need to do a review of the whole of the document

1 to see if there was anything even more explicit.
 2 Thank you, sir, for not requiring me to do that on
 3 the hoof.
 4 I'm going to move away from that particular issue,
 5 about which I'm now much clearer, unless, sir, there
 6 were any questions you wanted to ask about it.
 7 SIR JOHN SAUNDERS: No, thank you.
 8 MR GREANEY: Just a few questions before we move on to the
 9 CCP and CCS.
 10 First, when Paddy Ennis deployed back into the
 11 City Room, and to be fair to you he made clear this is
 12 something he was deciding ought to happen, what role, if
 13 any, was assigned to him in accordance with the command
 14 structure?
 15 A. I don't think it was assigned to him. I think ... You
 16 could call him a primary triage officer.
 17 Q. That's what he thought he was.
 18 A. In a way he was. But not the officer, he was completing
 19 primary triage -- the primary triage officer really is
 20 responsible for the people doing the primary triage.
 21 But what he was asked or what he was doing was going in,
 22 triaging, and providing a priority. So my view -- and,
 23 again, I've thought about this over the last 24 hours
 24 because of Paddy's evidence. My view is I don't think
 25 I did clearly define a role for him other than to say

1 prioritise . So I think, in fairness to Paddy, did the
 2 major incident have a role designed for him? On
 3 reflection , no, I'm not sure it did, because if I'd
 4 asked him to be the primary triage officer , really their
 5 role is to sort of make sure triage is done by other
 6 people, and he didn't have other people available to
 7 him.
 8 Q. Indeed, we looked at that yesterday in fact.
 9 A. So I don't think the role that he undertook is really
 10 defined within the major incident plan.
 11 Q. Secondly, before we get to CCP and so on, is it a fair
 12 observation that you were not sufficiently concerned
 13 about his safety to tell him, instruct him, don't go
 14 there?
 15 A. I didn't instruct him not to go there, but we did have
 16 a --- and, again, it's seconds of a conversation, but we
 17 did have a conversation about his risk . I think his
 18 words to me were, "It's as safe as it could be". If I'm
 19 honest, I have worked with Paddy for a long time, the
 20 decision around him going back in was based on patients
 21 and his tenacity and bravery to go back in that room.
 22 Officially I knew that I should be asking him to stay
 23 out and we worked together to do what we needed to do.
 24 Q. In your mind, was it safe enough for him to go in?
 25 A. No. In my mind, he shouldn't have been in there ---

153

1 well, in my mind and all the books, he shouldn't have
 2 been in there.
 3 SIR JOHN SAUNDERS: Are we saying it's not safe enough to be
 4 in there because of what the major incident plan or JOPs
 5 says or are you saying: on what I knew personally about
 6 the situation in that room, of course he you knew much
 7 better than you, I considered it wasn't safe for him to
 8 work there?
 9 A. I guess both, because the room was defined as warm, the
 10 risks were relatively understood, but the room was
 11 defined as warm and by definition that means that it's
 12 not safe enough for him to be in there.
 13 SIR JOHN SAUNDERS: So it is by the definition basically?
 14 MR GREANEY: So shall we move on then to deal with the CCP
 15 and CCS.
 16 By 23.05, you were outside on Station Approach,
 17 I think. We'll check by looking at the sequence of
 18 events. {INQ035612/203}.
 19 That plainly isn't the correct image. I'll come
 20 back to it in due course.
 21 I do know that at 23.05, you're outside and indeed
 22 we can pick this up from the schedule which I know
 23 you've been provided with. Sir, it's another one of
 24 these schedules that we can't put on the screen. I do
 25 hope you have a copy of it.

154

1 Do you have a copy, Mr Smith?
 2 A. I do, thank you.
 3 Q. We're going to start at line 4230, the antepenultimate
 4 entry on that page. It's timed at 23.05.01. We can see
 5 if we look along casualty clearing station is the
 6 location and it reads:
 7 "NWAS Dan Smith is stood outside the entrance to
 8 Victoria Station. He approaches PC David Shott, and
 9 tells him, 'Casualty clearing is there', pointing to the
 10 side of the station entrance."
 11 Another officer arrives and again you indicate,
 12 "Casualties here", again pointing to the side of the
 13 entrance. Were you pointing out an area just outside
 14 the war memorial entrance?
 15 A. I think I was pointing at an area just inside the war
 16 memorial entrance. I did read this, obviously, in
 17 preparation for today and questioned about myself. My
 18 recollection on the night, and it was something that
 19 proved to be completely incorrect as the night
 20 progressed, but the war memorial entrance --- when we do
 21 major incident exercises we tend to keep priority 1s on
 22 one side of the tent, or whatever we are using, and
 23 priority 2s on the other. In my mind, I thought we'd do
 24 that at the war memorial entrance and we'd have two
 25 nice, neat rows. Clearly, it doesn't work like that in

155

1 reality , something I learned on the night, and obviously
 2 that war memorial entrance wasn't going to be the big
 3 enough to house the patients that we had.
 4 So as I understood from my recollection on the
 5 night, casualty clearing was to be inside the war
 6 memorial entrance along where the war memorial is and
 7 obviously we then went into the concourse as the night
 8 progressed.
 9 Q. It spread out, I think, in both directions, both outside
 10 to some extent and, as you say, on to the concourse.
 11 A. Yes, some of the patients outside were already there.
 12 I think on my first picture arriving there, there
 13 were already patients sat on the pavement outside of
 14 that war memorial, whether --- I'd assumed they'd either
 15 been helped out or made their own way out, and then
 16 obviously we used the other side of the road as well.
 17 Q. I think of those who came down from the City Room in the
 18 sense of needing assistance, either a stretcher or
 19 a person or a chair, five of them ended up on Station
 20 Approach itself.
 21 A. Yes.
 22 Q. But at all events, what I need to be clear about is when
 23 you said, "Casualty clearing is here", were you talking
 24 about a casualty clearing station?
 25 A. Yes.

156

1 Q. As opposed to a casualty collection point?
 2 A. Yes.
 3 Q. We need to understand, or at any rate I need to
 4 understand, what those terms mean and so we'll return to
 5 the major incident response plan. {INQ013132/40}. If
 6 you'd enlarge the bottom half of that page, please, once
 7 you have it.
 8 Paragraph 9.2:
 9 "Casualty collection point (CCP). Following triage
 10 sieve, casualties will be evacuated in priority order to
 11 either a casualty collection point or directly to the
 12 casualty clearing station for treatment. Although the
 13 CCP process originated from the response to specialist
 14 incidents such as CBRN/hazmat or marauding terrorist
 15 firearms attack scenarios, its use is now commonplace
 16 for any multi-casualty incident. The CCP is designed to
 17 provide basic care for life-threatening injuries prior
 18 to a casualty being moved to the CCS or direct to
 19 hospital. Equipment to establish the CCP is carried by
 20 the Hazardous Area Response Team."
 21 Pausing for a moment, in any incident in which there
 22 are a number of casualties such as the arena attack,
 23 should there be a casualty collection point?
 24 A. You can use a casualty collection point. Again,
 25 it would be very incident-dependent. You can use one

1 or, as it quite clearly says there, you can move the
 2 patient directly into a casualty clear station. So you
 3 don't have to have a casualty collection point.
 4 Q. So a judgement is made at the scene depending on
 5 circumstances?
 6 A. Yes.
 7 Q. Is that a judgement for the operational commander?
 8 A. Yes, or for ... in an MTFA-type situation, the commanders
 9 that are working within the hot and warm zones.
 10 Q. Then 9.3, "Casualty clearing station", over the page,
 11 please, {INQ013132/41}:
 12 "Once a casualty clearing station has been
 13 established all casualties must be directed/transferred
 14 from the site or CCP to the facility for further triage
 15 (sort) or if appropriate to a P3 (walking wounded)
 16 holding area."
 17 So again, further support for your view that you
 18 don't have to have a CCP, people can go straight to the
 19 casualty clearing station:
 20 "Casualties will then receive treatment and
 21 subsequent transport to a location appropriate to their
 22 condition subject to availability."
 23 And then various locations are listed:
 24 "Treatment within the CCS should aim to stabilise
 25 the casualty with a view to getting them to a definitive

1 point of care as soon as possible."
 2 Then just one further page to look at and then I'll
 3 have some questions. {INQ013132/59}, please, Mr Lopez.
 4 This is appendix A and it sets out a diagram of how
 5 an incident would be expected to manage; is that a fair
 6 way of putting it?
 7 A. Yes.
 8 Q. Where we have the incident itself surrounded by the
 9 inner cordon. Then just outside, the FCP.
 10 A. Yes.
 11 Q. We've got a CCP and then, further away, the casualty
 12 clearing station, and so on.
 13 A. Yes.
 14 Q. So am I correct to conclude that, where there is a CCP,
 15 it will logically be nearer to the incident than the
 16 CCS?
 17 A. Yes, in most -- yes -- no -- yes, it will.
 18 Q. In the circumstances of this situation, what was your
 19 plan for a CCS or CCP?
 20 A. So first of all, I think in my statements I've used the
 21 terms interchangeably and that's incorrect. My view on
 22 the night --
 23 Q. Were you clear about the distinction on the night?
 24 A. Yes, very clear. So why... I can only apologise for
 25 the statements --

1 Q. I'm sure you don't need to apologise.
 2 A. -- that used the terms. I was very clear what a CCP was
 3 and I'm very clear what a casualty clearing station was.
 4 It is my view that we established a casualty clearing
 5 station on that night.
 6 Q. In the area that you've described?
 7 A. In the -- well, it started at the war memorial and went
 8 on to the concourse, and then obviously, as it says
 9 there, the P3 holding area was slightly separate, and we
 10 used the opposite side of the arena -- of the Station
 11 Approach to have the P3 area.
 12 Q. Was there a casualty collection point --
 13 A. No.
 14 Q. -- that night in your plan?
 15 A. Not -- no.
 16 Q. A question that might be posed is: a CCP, as we know,
 17 involves more treatment than occurs on triage sieve, why
 18 was a CCP was not established either in the City Room or
 19 on the overbridge? Is the explanation for that that you
 20 couldn't do it because those areas were warm or is there
 21 some different reason or a combination of reasons?
 22 A. I think there's probably a combination. My personal
 23 view is that it wouldn't -- just from experience, you
 24 wouldn't establish a CCP in the City Room because you're
 25 not moving the patients anywhere, that is the incident

1 site. I obviously have --

2 Q. But it has the benefit if they do require treatment over

3 and above triage sieve treatment?

4 A. Well, it's my view that they don't, so it's my view that

5 they still only manage catastrophic haemorrhage and

6 airways and Celox dressings in a CCP. A CCP is, in my

7 view, somewhere that you would move a patient very

8 quickly out of danger, you then manage them quickly, and

9 then you move them on to a CCS. So I think my

10 operational plan on the night was to move those patients

11 as quickly as possible from where they were to the

12 concourse, and the concourse became a CCS. I think you

13 could always argue that, was it a CCP and then developed

14 into a CCS because they'd been moved there first. But

15 I have to be honest, it's my view that I didn't

16 establish a CCP that night, I established a CCS.

17 Q. So you've explained your position in relation to the

18 establishment of a CCP in the City Room and it may be

19 your answer to the next question is the same: why not

20 establish a CCP on the overbridge?

21 A. I'd answer that in two ways, two points really.

22 I didn't consider that on the night. That's the first

23 point. I didn't consider that.

24 The second point is, applying my mind to that

25 question now, could I have done, I just think that would

161

1 have introduced delay. I genuinely think that would

2 have introduced delay, and I appreciate that we could

3 have -- that you can provide more care up there, and

4 I appreciate totally that there were some difficulties

5 on staircases, but I do think if we'd have held two

6 areas -- we moved patients, in my view, quickly -- we'd

7 have ended up with a very large area on that bridge. If

8 you think about the footprint that we needed to use on

9 the concourse, we would have had -- I just... This is

10 on reflection, I want to be clear, I did not think about

11 it on the night. But on reflection I just don't think

12 that was an appropriate place to put a CCP. I just

13 think once those patients had started moving, the very

14 best we could do was just move them very quickly

15 downstairs and I appreciate the difficulties, I do, and

16 it was within perhaps a range of options that I could

17 have considered on the night. Applying my mind now,

18 I still don't think that was the right thing to do.

19 Q. You may have identified two reasons why a CCP would have

20 been of benefit. First of all, as the plan itself

21 states, a CCP is designed to provide basic care for

22 life-threatening injuries. Secondly, there was the

23 difficulty that you're obviously aware of, which you

24 experienced on the night, that to get to the CCS people

25 had to be brought down that staircase, didn't they?

162

1 A. Yes.

2 Q. And is a third benefit or potential benefit of the CCP,

3 as Mr Ennis I think accepted yesterday, that where

4 a patient is in a CCP, if they'd had a tourniquet

5 applied or some dressing applied to deal with

6 catastrophic bleeding, they will be checked to make sure

7 that that is working?

8 A. Yes, I think that final point is possible, but I do

9 still maintain -- I do appreciate the difficulties, but

10 on the night how I observed what was happening,

11 I thought that the movement of patients downstairs was

12 happening very effectively. I will say to the

13 dedication of the public and the police and other people

14 in those movements and the teams they worked in, so

15 I honestly -- and I have, you know... I have genuinely

16 thought about this a lot given what's been discussed.

17 It is still my view that it would have slowed things

18 down, I just genuinely think it would, and I appreciate

19 others may not, but that would be my view.

20 Q. I'm going to ask about one further issue on this and

21 we'll move to the subsequent period, the period from

22 11.05 and onwards. You didn't ever visit the City Room,

23 at least not during any relevant period?

24 A. No.

25 Q. Given that you were making decisions about risk and

163

1 about whether there should be a CCP, and if so, where,

2 would it have been better if you had yourself visited

3 that room?

4 A. Would it have told me anything different is perhaps

5 a question I could ask myself. I think I was aware on

6 the night that it was a warm zone, it remains a warm

7 zone, the movement of individuals into that room, in my

8 view, is not -- movement of paramedics into that room

9 was not permitted. I allowed Paddy to stay in that

10 room, or didn't stop Paddy from staying in that room,

11 I deployed the HART, as I saw fit, and I know we'll come

12 to that.

13 But did I need to visit that room to understand

14 anything different? The only thing that I may have

15 understood was actually the structural damage was

16 a present risk, wasn't it? And I don't think I was

17 completely clear on that on the night. I assumed

18 it would be, I don't think I was completely clear how

19 much of a risk, and we obviously know there was.

20 Q. Did you turn your mind to going to the City Room and

21 decide for those reasons not to or is it something that

22 didn't cross your mind that night?

23 A. I think it did cross my mind, but I think I was aware,

24 as the ops commander, my role is to stand back and

25 that's a difficult thing to do, but I was satisfied that

164

1 I had enough understanding to make the decisions
 2 I needed to make.
 3 MR GREANEY: Sir, I'm going to move on to look at some
 4 particular events from 11.05 unless you had any
 5 questions?
 6 SIR JOHN SAUNDERS: No, thank you.
 7 MR GREANEY: You went straight from your discussion with
 8 Paddy Ennis to Station Approach, and you spent the next
 9 50 minutes either outside on Station Approach or just
 10 inside; do you agree with that description?
 11 A. Yes.
 12 Q. I believe that in that period, you didn't personally
 13 provide treatment to any person; is that correct?
 14 A. No hands-on treatment, no.
 15 Q. I think it is important that I should ask you why,
 16 although I believe I know your answer.
 17 A. It would be -- it's not part of the role that
 18 I undertook on the night to offer direct care. In fact
 19 we're explicitly instructed not to.
 20 Q. You just dropped your voice.
 21 I think the point you're making was your role on the
 22 night simply involved you not treating --
 23 A. Yes, I'm explicitly told not to do that, yes.
 24 Q. Did your role continue to be that of operational
 25 commander?

165

1 A. Yes, until midnight, yes.
 2 Q. Many of your interactions over that period of time --
 3 and let me immediately acknowledge you were extremely
 4 busy and operating under considerable pressure, but many
 5 of those interactions we will need to consider in
 6 chapter 12, as I warned you when we met earlier today.
 7 But I do just want to focus on a number of events
 8 that reveal or might reveal some aspects of your general
 9 approach.
 10 Back to the schedule, please, now to page 2 and to
 11 line 4506. 23.06.44. On the screen, Mr Lopez, I hope
 12 this reference is correct, the sequence of events,
 13 {INQ035612/209}.
 14 There we are, 23.06.47. PC Grace Barker -- we had
 15 reference to her yesterday in Mr Ennis' evidence --
 16 approaches him as he arrives and says, "We need
 17 ambulances", effectively and she enters Victoria Train
 18 Station with three off-duty officers (sic) and she takes
 19 them to you and Dr Daley.
 20 If we look at line 4506 we can see the conversation
 21 that develops between you and PC Barker. Because you
 22 say to her:
 23 "Stay out here."
 24 PC Barker replies:
 25 "Three doctors."

166

1 You then say:
 2 "I don't care who they are."
 3 And PC Barker states:
 4 "Right, fine, that's my question answered. Let's
 5 get out of here."
 6 And an unknown voice is then heard to say:
 7 "You've got to stay out there, you can't come back
 8 in."
 9 Do you recall those events?
 10 A. I do. I didn't realise it was that early in the night,
 11 but I do recall them, yes.
 12 Q. On the face of it, there are three doctors who want to
 13 enter the station in order to provide assistance where
 14 it's required. Again on the face of it, you're saying,
 15 "No, I don't care who they are, they're not coming in".
 16 Is that a fair description of what happened or not?
 17 A. Absolutely, yes.
 18 Q. You will appreciate that someone, a member of the public
 19 or a member of the families watching, might say, "Why on
 20 earth were three doctors who could bring such value to
 21 that response not allowed even into the station?" So
 22 I must give you an opportunity to explain that.
 23 A. Yes. Remembering, obviously, I'm 6 minutes into my
 24 attendance, that we're in the middle of a terrorist
 25 attack, and people without ID being allowed through

167

1 cordons should not be happening. It's as simple as
 2 that. That is a safety -- it's a tactic that we know
 3 can be used. Access to these areas should have been
 4 restricted. There is nothing wrong with us going back
 5 out of the cordon which they've just come through,
 6 checking IDs, seeing who they are, but absolutely
 7 I needed to have that area locked down by the police,
 8 and allowing anyone turning up at a cordon saying, "I'm
 9 a doctor", is just not acceptable.
 10 Q. Is that the position you adopted just because that was
 11 the procedure or is that the position you adopted
 12 because they might be at risk coming in, or they might
 13 present a risk if they came in, or a combination of all
 14 of them?
 15 A. If we... They may be at risk but my first thoughts are
 16 they could be a risk. There is nothing to say that
 17 those three -- obviously we now know who they were, but
 18 there's nothing to say that those three didn't use that
 19 as a tactic to get into a secure area and cause further
 20 havoc.
 21 So 6 minutes into my plan, as far as I'm concerned,
 22 I've got a piece of tape across the front of the
 23 concourse that says this is a cordoned area by the
 24 police. If people need to come through that, we need to
 25 have proper systems in place to do that.

168

1 SIR JOHN SAUNDERS: Really, that's the police's
 2 responsibility ?
 3 A. Absolutely, yes.
 4 SIR JOHN SAUNDERS: So really you think PC Barker was not
 5 doing her job properly by letting them in without
 6 identification ?
 7 A. Yes. But you can't criticise somebody for -- you know,
 8 "Some doctors have arrived, I want to get them in", she
 9 knows the situation clearly that's going on in front of
 10 her, but again one of my roles is to protect the health
 11 and safety of that CCS, and I absolutely needed that
 12 cordon locked down.
 13 SIR JOHN SAUNDERS: Did you ask if they'd got ID?
 14 A. I just wanted them out first. We could do that away,
 15 but what I didn't want was patients being laid down next
 16 to people that had just been allowed through a cordon.
 17 And I know certainly from part of our debrief process
 18 that other doctors were just allowed through cordons and
 19 it was part of the debrief that we fed back in that
 20 those cordons need locking down when we're in the middle
 21 of a terrorist assault.
 22 MR GREANEY: In the end those doctors did get in, but not
 23 for another 14 minutes.
 24 A. It may be a question for Dr Daley. This is purely
 25 a recollection. As I said, it may be completely

169

1 incorrect, but I've got a slight memory of maybe asking
 2 Dr Daley to double-check on who they were. Also
 3 doctors -- there are many different doctors, so we need
 4 to be aware that they've got the necessary training to
 5 be able to work in a casualty clearing station and
 6 things as well. That was not my primary concern. But
 7 if we were to allow them to work in a casualty clearing
 8 station, we need to know they're able to do so.
 9 I have just got a slight memory that I may have
 10 asked Dr Daley to double-check on who they are, but
 11 I wouldn't say that was for definite. It may be
 12 a question for him.
 13 Q. The position therefore seems to be that there were three
 14 doctors who wanted to give their assistance, who would
 15 undoubtedly have been of assistance, do you agree?
 16 A. If they were doctors, yes, but at the time --
 17 Q. If they were doctors? Well, they were. And it sounds
 18 as if at least part of the reason they weren't admitted
 19 was a procedural matter because there was a cordon they
 20 shouldn't go through?
 21 A. Yes, it's procedural, but it's about protecting -- you
 22 know, I was bringing patients into an area, we needed to
 23 be able to make sure that area was protected. The very
 24 worst thing that could happen was people got into the
 25 casualty clearing station and caused more death or

170

1 destruction through further attack. That's what we were
 2 faced with.
 3 I was 6 minutes into an incident. There's no way
 4 that we should be allowing anybody through unless we are
 5 clear on definitely who they are.
 6 Q. Just before we move on in time, although only to 11.07,
 7 whilst we're dealing with doctors, I asked you just
 8 before lunch about forward doctor and the role that
 9 person performed. What I understood from your answer
 10 was that the forward doctor was someone who would move
 11 from, I think you said, from the FCP forward to the
 12 scene of whatever had happened.
 13 A. I think so. We use slightly different terminology now
 14 but I'm sure at the time the forward doctor would work
 15 in a forward position on the incident.
 16 Q. And I think you had at least two doctors there, Dr Tunn
 17 and Dr Daley?
 18 A. I'm not sure Dr Tunn was there at that point.
 19 Q. Dr Daley was present at any rate --
 20 A. Dr Daley was.
 21 Q. -- and we have seen him many times in the images.
 22 He was therefore a resource that could have been,
 23 from an early stage, deployed forward into the
 24 City Room; is that correct?
 25 A. Yes.

171

1 Q. Is the reason that he wasn't the same reason that you
 2 wouldn't deploy ordinary paramedics?
 3 A. Yes.
 4 Q. Namely it was a warm zone?
 5 A. Yes. Under the CCA, any NHS responder on scene comes
 6 under the same rules as the Ambulance Service. So
 7 anyone responding on our behalf would come under those
 8 rules.
 9 Q. At 11.07, the first casualty arrived outside on
 10 a makeshift stretcher and you were there at that time.
 11 In the next 35 minutes, so up until 23.42, a further
 12 37 patients arrived, of whom 25 were on makeshift
 13 stretchers. Those are my calculations. I'm always
 14 available to be corrected.
 15 Do you agree that the use of a kind of makeshift
 16 stretchers that were employed was obviously
 17 unsatisfactory?
 18 A. Yes.
 19 Q. So let me ask a few follow-up questions. First, were
 20 you aware that the Fire and Rescue Service have -- were
 21 you aware in May of 2017 that they have a capability
 22 in relation to the extraction of casualties from
 23 a scene?
 24 A. Yes, I was. I was aware of their capability under the
 25 MTFA response, yes.

172

1 Q. As these casualties were being brought from the
 2 City Room to the CCS, did it strike you at any stage
 3 that the Fire and Rescue Service were nowhere to be
 4 seen?
 5 A. If I'm honest, no, it didn't.
 6 Q. Secondly, as we've understood it, on NWS ambulances
 7 there would be a form of stretcher. I think we're told
 8 it's called a scoop stretcher.
 9 A. Yes.
 10 Q. Did you direct that, rather than using cardboard
 11 hoardings and so on, that the NWS scoop stretchers
 12 should be used?
 13 A. No.
 14 Q. Why not?
 15 A. So the process of moving patients on makeshift
 16 stretchers started, I think there or thereabouts, as the
 17 first sort of ambulances started to arrive with me. So
 18 the process had started and, as I've said previously,
 19 and I know this sounds wrong now because we can look
 20 back on the incident and clearly see that there were
 21 struggles on the night. I didn't notice the struggles
 22 of people happening. So I can only say to that I did
 23 not notice those struggles that people had. It seemed
 24 to me on the night that things were working, they were
 25 working efficiently, they were working well, and

173

1 patients were being moved very quickly to where we
 2 wanted them to be.
 3 The use of scoops, again, being totally open, I did
 4 not consider on the night, and I didn't consider because
 5 I just -- I did not notice the problems that people were
 6 having.
 7 I will say -- I think there's an entry in this SoE
 8 where somebody states, it's a police officer who says
 9 that they have got someone stuck, I think, somewhere,
 10 and there's a discussion around that. That wasn't clear
 11 to me that that was a stretcher problem at the time.
 12 I have a recollection of someone asking me
 13 specifically for a stretcher and us having a discussion
 14 about they're too heavy to go up the stairs. I didn't
 15 consider scoops.
 16 What I will say is I have obviously thought about
 17 scoops now and I have also obviously thought about
 18 Skeds. I know what the experts have said in their view
 19 that scoops could have been used. They were
 20 a possibility but I genuinely on the night just thought
 21 that it was working. And I know people are going to see
 22 that evidence and think, well, how could you have
 23 thought that, but genuinely on the night I just thought
 24 it was working.
 25 Q. Well, hopefully people will make a fair judgement about

174

1 your evidence in light of the evidence that you have
 2 given. That's all I want to ask you about stretchers.
 3 We've been going for an hour and 15 minutes.
 4 I don't have very much longer in my questions, sir.
 5 What I propose is that I press on to the end of my
 6 questions and then we take a break and have CP questions
 7 after that if you are content with that and the witness
 8 is.
 9 SIR JOHN SAUNDERS: You're happy?
 10 A. Yes, thank you, sir.
 11 MR GREANEY: Next, line 5287. As I indicated, I'm only
 12 going to a handful of entries. This is page 3. We're
 13 now at 23.13 hours. We can see an image of this on the
 14 screen at {INQ035612/252}.
 15 Just before 11.14, the HART paramedics Chris
 16 Hargreaves and Lea Vaughan enter the railway station.
 17 Given that it was your responsibility for activities
 18 at the scene, as we saw from the plan earlier, was it
 19 your job to decide where they should be deployed?
 20 A. Yes.
 21 Q. And did you decide where they should be deployed?
 22 A. Yes.
 23 Q. And where did you decide they should be deployed?
 24 A. They were deployed into the City Room.
 25 Q. Is it fair to conclude from the fact that as soon as

175

1 they arrived, they were deployed there, that you did
 2 recognise there was a need for paramedic support in that
 3 room?
 4 A. Yes, and they were the option I had.
 5 SIR JOHN SAUNDERS: Can I just check, did you tell them to
 6 go there or did you ask them whether they'd be prepared
 7 to go there?
 8 A. It was a discussion -- well, I didn't... Forgive me,
 9 actually, I may have misled you there. I didn't speak
 10 to Chris Hargreaves or Lea Vaughan, I spoke with
 11 Simon Beswick. So the discussion was with him about
 12 deployment. He then deployed the two that we had
 13 available into that room.
 14 MR GREANEY: Thank you for clarifying that. Otherwise there
 15 might have been a little conflict in the evidence. So
 16 I have understood, you speak to the HART team leader?
 17 A. Yes.
 18 Q. The HART leader, forgive me.
 19 You make plain that you wish them to be deployed
 20 into the City Room, he then speaks to them and makes
 21 sure that they are content to do so?
 22 A. Yes. Well, I don't know -- I -- yes, I suppose content
 23 to do so. There was a discussion about the capability.
 24 I definitely told Simon Beswick that Paddy was upstairs.
 25 I gave him a brief description of what I knew around the

176

1 suicide bomber and patients upstairs. Obviously by that
 2 time there were a number of patients already downstairs,
 3 and more flowing down in the next sort of 5 minutes.
 4 So a discussion was then had about his team's
 5 capability and again it may sound like it's ages long,
 6 this is seconds of conversation and the decision is that
 7 they can deploy. Obviously, he then goes and talks to
 8 them about their ability to deploy and what they then do
 9 while they're there.
 10 Q. At 23.25 -- and, sir, this is now page 4 of the
 11 schedule -- well, at 23.22.53 in fact is when it
 12 starts -- you passed a radio message to control. We
 13 can't play it because of certain background noises, but
 14 we can, I hope, display the transcript on the screen.
 15 {INQ034313/1}.
 16 You have, as I have understood it, made a call to
 17 control. You then say:
 18 "Thank you for the channel. Obviously you're aware
 19 we're at a major incident down here. Just a further
 20 update. So METHANE report: major incident is declared;
 21 it's inside Manchester Evening News arena; it's
 22 a confirmed shrapnel bomb, multiple casualties with
 23 penetrating shrapnel wounds; currently we've got a small
 24 area but obviously inside we are still looking at unsafe
 25 areas from the bomb."

177

1 By unsafe areas, did you mean the City Room?
 2 A. Yes.
 3 Q. "Numbers of casualties -- so far we've confirmed
 4 a number of fatalities and we've confirmed at least 15,
 5 one five, priority 1 patients. Currently we've got
 6 a large number of emergency services on scene, obviously
 7 we need to set up an RVP. So if we can make sure that
 8 all further resources other than specialist
 9 resources ..."
 10 And when you speak of an RVP there, what are you
 11 talking about?
 12 A. I'm talking about Thompson Street, a rendezvous point
 13 for our vehicles at Thompson Street.
 14 Q. So am I right that by this stage, there are, we can
 15 probably work out exactly how many, there are many
 16 casualties within the CCS who need to be transported to
 17 hospital?
 18 A. Yes. So we're 20 minutes after my arrival now so
 19 I think -- yes, I'd have to count them, but yes there
 20 are a number downstairs.
 21 Q. So you are starting to gear up, am I right, to move
 22 those casualties to hospital and you're seeking to make
 23 arrangements for ambulances in numbers to go to the RVP
 24 at Thompson Street?
 25 A. Yes.

178

1 Q. It then continues:
 2 "MX0595..."
 3 That I think is you?
 4 A. It is, yes.
 5 Q. "... 15, one five, priority 1 patients. Currently we've
 6 got a large number of emergency services on scene."
 7 Over the page:
 8 "Obviously we need to set up an RVP, so if we can
 9 make sure that all further resources other than
 10 specialist resources please go to an RVP, not to scene,
 11 I don't wanna clog the roads up. So that's all other
 12 resources must..."
 13 So you've passed a METHANE message with information
 14 about each letter of METHANE, and as I've said, you're
 15 trying to gear up for a number of ambulances to
 16 transport to hospital?
 17 You then carry on a little bit further down the
 18 page:
 19 "At this moment if you can make sure the
 20 Silver commander's on this channel, I'm going to need to
 21 start knowing over numbers and stuff. I've established
 22 triage officer, casualty clearing officer and a parking
 23 officer. They're at scene and we've got teams moving
 24 forward into the building to assess the damage inside."
 25 When you said, "We've got teams moving forward into

179

1 the building to assess the damage inside", what teams
 2 were you talking about?
 3 A. I have obviously used the plural version there, but
 4 I assume I'm talking about the HART team that had gone
 5 in.
 6 Q. So you're talking about Lea Vaughan and
 7 Chris Hargreaves --
 8 A. Yes.
 9 Q. -- who have been in to assess the damage?
 10 Thank you very much. That's all I wanted to ask you
 11 about that.
 12 Were you going to say something?
 13 A. No, it's okay.
 14 Q. I'm just going to really summarise what happened
 15 thereafter. In the minutes that followed, you had
 16 a conversation with the TAC adviser, Steve Taylor, over
 17 the radio, and with control. That I don't need to ask
 18 you about.
 19 You then had a conversation with the
 20 Silver commander at 23.34, the top of page 7, in which
 21 again you were seeking to establish with her what
 22 arrangements were going to be made for the
 23 transportation of casualties to hospital.
 24 Then at 23.39.27, you spoke again to the
 25 Silver commander. She gave you information about the

180

1 allocation of particular numbers of patients of
 2 a particular type to particular hospitals; is that
 3 correct?
 4 A. Yes. And I did that on purpose because on scene what
 5 I'd said to certain individuals is, "If I ask for this
 6 information over the air, you can all have the
 7 information". Rather than trying to brief everybody,
 8 everyone can listen in, write it down, and it was the
 9 casualty distribution part, basically.
 10 Q. So what you can't have is a situation in which one
 11 hospital or a few hospitals are overwhelmed by the
 12 number of casualties who arrive and so someone has to
 13 make a decision under the distribution plan about which
 14 patients or types of patients are going where and
 15 that is what was being put into effect at 23.39, shortly
 16 before the final casualty arrived in the CCS?
 17 A. Well, yes, so that will have been put into place.
 18 I think the reason I wanted Annemarie to read the
 19 numbers out was so we were all clear on the command
 20 structure, the numbers that were to be at each hospital.
 21 It was just an easier way from my perspective of
 22 briefing everybody on the same thing over the radio
 23 channel.
 24 Q. At 23.43, you spoke to control again and made plain that
 25 you needed at least 40 vehicles given the number of

181

1 casualties that you were dealing with.
 2 The balance we can summarise in this way: you
 3 continued to be involved in making arrangements for the
 4 transportation of casualties to hospital?
 5 A. Yes.
 6 Q. The final question that I need to — the final topic
 7 that I need to ask you about relates to your replacement
 8 as operational commander. By 23.51, Stephen Hynes was
 9 at the scene, and we can show an image of this.
 10 {INQ035612/412}.
 11 23.51.31. You're there in the body of the station,
 12 just in from the war memorial entrance:
 13 "Operational commander Daniel Smith and paramedic
 14 Derek Poland talk with NAWAS paramedic Stephen Hynes."
 15 So Stephen Hynes is an officer of NAWAS?
 16 A. He is, yes.
 17 Q. What, at that stage, was his position within NAWAS?
 18 A. He was deputy director of operations.
 19 Q. Was he your line manager or one of them?
 20 A. He was my manager's manager.
 21 Q. Your manager's manager. So plainly, therefore, senior
 22 to you in position?
 23 A. Absolutely, yes.
 24 Q. Did you have a conversation with him at that stage?
 25 A. I did, but a brief one, because it was around the time,

182

1 you're quite right, that you were trying to coordinate
 2 the movement of patients away. So I gave him a very
 3 brief summary of what was happening but asked him to
 4 wait for a further briefing because I wanted to — I was
 5 in the middle of doing a number of things and I just
 6 wanted to get those things done. So I almost had sort
 7 of — "This is what we've got, bear with me a second,
 8 I just need to get this and this done, and then we'll
 9 have a proper conversation".
 10 Q. And I think it was 9 minutes later, at midnight, that
 11 you formally handed over to him?
 12 A. Yes.
 13 Q. There are a couple of aspects of the conversation or
 14 conversations that I want to ask you about. Firstly,
 15 do you remember that at some stage over those 9 minutes
 16 he asked you where the Fire and Rescue Service was?
 17 A. Yes. I don't know if it was during the first
 18 conversation or the second but yes, I do remember him
 19 asking me.
 20 Q. Was that in fact the first time that you realised that
 21 they were not in attendance?
 22 A. It's the first time, yes.
 23 Q. Or the first time you registered it?
 24 A. I think the first time I'd registered it in my mind that
 25 actually, "Yes, where are the Fire Service?"

183

1 Q. Did he tell you that he was taking over from you as
 2 operational commander?
 3 A. He did.
 4 Q. In your statement you say you assumed that was happening
 5 because he, Stephen Hynes, and/or senior management were
 6 unhappy with some element of your command.
 7 A. Yes.
 8 Q. When you formed that view, what was it about your
 9 command that you had in mind?
 10 A. I didn't, I just ... I was asked when I was writing my
 11 statement as to why I thought that could be and at the
 12 time I just said, I assumed someone was unhappy with
 13 something, but I didn't on the night know what that was
 14 or ask any questions as to why. I didn't think it was
 15 the time or the place to do so.
 16 MR GREANEY: Thank you very much indeed, Mr Smith, for
 17 answering my questions.
 18 SIR JOHN SAUNDERS: Right. There is an area which I would
 19 like to ask, but I'm acting entirely from my memory of
 20 evidence which has been given and therefore if my memory
 21 is incorrect, would you mind stopping me —
 22 MR GREANEY: I will.
 23 SIR JOHN SAUNDERS: — because I'm acting simply on my
 24 memory of evidence given quite some time ago?
 25 The HART team. When they arrived, how many were

184

1 there?
 2 A. Well, three originally , and then another one arrived,
 3 and then two arrived. But to be clear, I only know that
 4 because of the process that's been applied for this
 5 inquiry. So on the night, when I was first presented
 6 with the HART team, I was presented with two operatives
 7 to move forward. I wasn't aware at that point where the
 8 others were and where they were in terms of --
 9 SIR JOHN SAUNDERS: So you're waiting for the HART team to
 10 come because they can go into the City Room?
 11 A. Yes.
 12 SIR JOHN SAUNDERS: And no doubt you would want to get,
 13 within reason, as many up there to help as you could,
 14 right?
 15 A. Yes.
 16 SIR JOHN SAUNDERS: So had you known that there were six
 17 around, you'd have got them all up there?
 18 A. That would have been part of the discussion, I think,
 19 yes. Perhaps I explained myself incorrectly . When
 20 Simon and I had a conversation, he provided me with two,
 21 so the assumption is that I had two available to me at
 22 that point, which is correct.
 23 SIR JOHN SAUNDERS: You'd know that the team is normally
 24 six , wouldn't you?
 25 A. Yes, but I assumed that others were coming, which they

185

1 did later on.
 2 SIR JOHN SAUNDERS: You were never told they were there to
 3 send them upstairs?
 4 A. I don't recall being told that the rest of the team had
 5 arrived. That said, there is clear CCTV of the team
 6 being behind me at some point. So I must have been
 7 aware, sir , that they were there. I don't recall having
 8 a conversation with Simon Beswick --
 9 SIR JOHN SAUNDERS: And that is pretty soon after the two of
 10 arrived because they all arrived in the same --
 11 A. It's about 10 minutes later, yes.
 12 MR GREANEY: I think by 11.21, they're there.
 13 A. Yes.
 14 SIR JOHN SAUNDERS: Again, this is entirely my recollection,
 15 which I hope is correct, the others who weren't deployed
 16 upstairs, and might have expected to be, were actually
 17 deployed to set up a casualty collection point, which
 18 rather surprisingly was going to be further out than the
 19 casualty clearing station. It seemed quite surprising
 20 at the time because it seemed the wrong way round.
 21 MR GREANEY: Your recollection is correct, I believe.
 22 SIR JOHN SAUNDERS: Did you direct them to go and do that?
 23 A. No, I wouldn't have directed a casualty collection point
 24 to be further -- that wouldn't make any sense.
 25 SIR JOHN SAUNDERS: It didn't at the time, actually.

186

1 A. I may have directed... I don't have a recollection of
 2 it but I may have directed them to say a CCS because
 3 they carry equipment to -- sorry, the casualty clearing
 4 station , maybe we need to change one of these names, but
 5 the casualty clearing station , you know, they carry
 6 obviously a lot of kit that can assist in a casualty
 7 clearing station. So I think it's very much likely that
 8 I would have said, "Assist with the establishment of the
 9 CCS now that you're here or now that you're available to
 10 me". I just ...
 11 SIR JOHN SAUNDERS: There seemed to be a real lack of
 12 communication going on here.
 13 A. I just -- I honestly don't know how anybody could have
 14 thought we had a CCP at the front of the CCS.
 15 SIR JOHN SAUNDERS: The right place for them was upstairs in
 16 the City Room?
 17 A. Yes.
 18 SIR JOHN SAUNDERS: And they never got there?
 19 A. Yes.
 20 MR GREANEY: Do you think there's in any sense a risk that
 21 because things were so busy on Station Approach and just
 22 inside that you became distracted from what was actually
 23 happening in the City Room?
 24 A. I think it was busy. But I think if you're an
 25 operational commander of a major incident of a mass

187

1 casualty nature, it's always going to be extremely busy.
 2 I don't think I was distracted from what was happening
 3 in the City Room. I've said in my statement, and I want
 4 to be clear on that as well, that I am not critical
 5 of -- I completely accept that I could have asked for
 6 more information as the night went on. The only thing
 7 I can say to that is I honestly thought that the
 8 operational plan was working, that there were no
 9 challenges particularly with it, and I also ... It went
 10 so quickly. I know Inspector Smith spoke about it, but
 11 I've never known an incident fly in time like that one
 12 did. We just seemed to get -- you know, it was... It's
 13 difficult . It's difficult in that role, and that's not
 14 me trying to give excuses, but the time just seemed to
 15 fly from us.
 16 Q. I'm just going to press you a little further on that and
 17 ask you to consider this. It's the same point about
 18 whether your attention was diverted, might be a better
 19 way of putting it, from what was happening in the
 20 City Room to what was happening really in front of your
 21 eyes. Is the fact that you didn't take any steps,
 22 it would seem, to find out what was happening in the
 23 City Room between 11.05 and when you were relieved of
 24 operational command not, do you think, an indication
 25 that your attention was diverted?

188

1 A. No, I did have comms in the room during that time but
 2 mainly once the patients had been down. Obviously Paddy
 3 went back in at 11 --
 4 Q. 11.05, yes.
 5 A. -- 11.05, sorry, and I think people were down by
 6 11.42-ish.
 7 Q. Yes.
 8 A. So it was 35 minutes and I totally get that, and there
 9 was definitely comms -- sorry, there was definitely
 10 a communication with him at some point, but as I said
 11 all the way through, I definitely had a much bigger
 12 scene to manage -- again I know this is difficult to
 13 hear because clearly we now know different, but at the
 14 time I was really satisfied that the operational plan
 15 was working, and I genuinely didn't know there was
 16 (inaudible).
 17 SIR JOHN SAUNDERS: Finally on that, we've heard in a number
 18 of different contexts of how handovers interrupt the
 19 process because you have to brief people and things like
 20 that. Therefore who's in charge is not actually
 21 hierarchical, certainly in some, so the mere fact that
 22 someone who's senior to you turns up should not mean
 23 that they take over. Is that the same with NAWAS?
 24 A. Yes, and it happened on the night. Dr Eddie Tunn was an
 25 associate medical director, much more senior to me.

189

1 Mike Jackson on the night was a chief paramedic, who is
 2 much more senior to me. So a number of people turned up
 3 who are senior to me, clinicians who were senior to me
 4 in rank as such, and did not take over operational
 5 command.
 6 SIR JOHN SAUNDERS: And that's why must have thought, they
 7 must have thought I was doing something wrong because
 8 they took over?
 9 A. Yes.
 10 MR GREANEY: Sir, can I make a suggestion? The
 11 Greater Manchester Combined Authority had made a bid for
 12 questions but they no longer wish to ask any questions.
 13 That means, I think, that we have questions from the
 14 bereaved families and then from NAWAS. I think that
 15 if we take a short break and if everyone is prepared to
 16 sit on -- mainly you, sir -- until 5 o'clock, there is
 17 a real chance that we will be able to finish Mr Smith's
 18 evidence today.
 19 SIR JOHN SAUNDERS: That applies to everybody. I'm not the
 20 only one going to be sitting here. If we have
 21 a 10-minute break, would you be happy enough to go on
 22 until about 5.00 if the consolation is that you get it
 23 over with?
 24 A. Yes, sir.
 25 SIR JOHN SAUNDERS: Is everyone else happy? Okay,

190

1 thank you. We'll have a 10-minute break.
 2 (3.51 pm)
 3 (A short break)
 4 (4.03 pm)
 5 MR GREANEY: Sir, I'm going to invite Mr Gozem to join us
 6 via the link. For Mr Smith's benefit, he'll be asking
 7 questions on behalf of the families.
 8 Questions from MR GOZEM
 9 MR GOZEM: Mr Smith, can you see me and hear me?
 10 A. I can, thank you.
 11 Q. Thank you. Can I begin by saying to you that I have no
 12 doubt, and I'm sure nobody has any doubt, that
 13 absolutely you wanted to do the very best you could on
 14 that night, not just for yourself but for all of the
 15 people who were there and your efforts are much
 16 appreciated. But as you know, I think as you foresaw in
 17 some of the interviews that you underwent, this process
 18 is one that is necessary for learning.
 19 A. Absolutely.
 20 Q. Can I begin by asking you this: had you acted as an
 21 operational commander before?
 22 A. Had I performed the role before?
 23 SIR JOHN SAUNDERS: Yes.
 24 A. Yes, I had, yes.
 25 MR GOZEM: Because you hadn't undertaken any operational

191

1 command training, had you?
 2 A. Not recently. So when I did operational command, it
 3 backdated -- so it was before NARU, so the National
 4 Occupational Standards. It was around sort of 2004
 5 through to 2009. So I was operational commander at that
 6 point for a large number of incidents because that was
 7 a role I undertook. It was a role we don't have any
 8 more in the Ambulance Service but it was clinical
 9 practice supervisor and then assistant operations
 10 manager. At the time that role responded to any
 11 incidents of note, really, as the operational commander.
 12 It's fair to say back then things were very different in
 13 terms of our training, in terms of our record-keeping on
 14 training, NARU didn't exist, so the national course
 15 didn't exist. So I think in my statement when it says
 16 I haven't received any training, that's not true. What
 17 I haven't done is received what we would now expect from
 18 an operational commander simply because obviously I have
 19 moved to tactical command having done the operational
 20 command.
 21 Q. You're quite right, your statement does say that you had
 22 never undertaken any and that is why I wanted to ask you
 23 about it.
 24 Derek Poland was perhaps a more recently trained
 25 operational commander than you, wasn't he?

192

1 A. Yes. In fact, actually, we started on operational
 2 command at the same time, so had been doing it the same
 3 length of time as me. I moved on to tactical commander
 4 or had training to enable me to do tactical command.
 5 Derek had remained at operational commander level, yes.
 6 Q. I'm just going to ask you this for your comment: with
 7 hindsight, do you think it might have been better if
 8 you'd let him become operational commander?
 9 A. It would have been an option. I don't know if I'm
 10 better or ... I don't have a view on whether Derek would
 11 have made a better operational commander than me. It
 12 was an option, we discussed it, I took operational
 13 command, and I felt competent and able to do so and did
 14 it to the best of my abilities, as we've already
 15 discussed.
 16 Q. All right. There could be many advantages, couldn't
 17 there, in having an operational commander, for instance
 18 like Derek Poland, and a tactical adviser on scene
 19 working together; is that right?
 20 A. Yes, but I'm not a tactical adviser. That's a very
 21 different role to a tactical commander. I was trying to
 22 interpret your point there. Yes, a tactical adviser --
 23 sorry, I should answer the question. A tactical adviser
 24 can support an operational commander. To the best of my
 25 knowledge, and certainly not during the time I was

1 there, there were no tactical advisers at scene.
 2 Q. Would it have been any advantage at all to have
 3 a tactical commander assisting an operational commander?
 4 A. I think that's an interesting point. I think
 5 I anticipate a question later around any recommendations
 6 I would like to influence. I think, as I have put in my
 7 debrief questionnaire following this incident, I think
 8 there is a need to seriously consider the operational
 9 and tactical level command structures and whether
 10 tactical should be certainly at an incident of this
 11 nature at scene. At the time, it was absolutely -- and
 12 myself and Annemarie didn't even need to discuss where
 13 she was going. It was totally accepted that as tactical
 14 commander she would be going to GMP Headquarters.
 15 I put in my debrief paperwork that I think we should
 16 have some discussion about that. Nationally or in
 17 Greater Manchester at the moment the view remains that
 18 the Silver command ordinarily will be in one place and
 19 that's at GMP Headquarters, but I absolutely agree with
 20 you, I think there are -- there is a need for us to just
 21 have a think about how that works, definitely at
 22 a spontaneous incident. It's very different for
 23 a planned incident or even an incident that we've had
 24 some warning about and we're able to establish
 25 structures. But I do think where there is a sudden,

1 mass casualty, a no--notice sudden incident, having
 2 a tactical commander at scene, I think, personally, and
 3 I'm no expert, would be useful.
 4 On the night you could argue: well, why didn't you
 5 do that? That just wasn't in my psyche because we
 6 absolutely worked on the ground of commanders at scene
 7 are operational, end. But I agree with you, sir,
 8 I think there's potential for us to learn something
 9 there.
 10 Q. Thank you. On a very simplistic level one of the
 11 advantages might be -- we've heard that many of you
 12 carry these action cards with you. But it sounds very
 13 much from the evidence that the inquiry has heard that
 14 there's very little time for anyone who's responding to
 15 a sudden mass casualty attack to take the card out of
 16 their pocket and look at it and think about what they
 17 might do. Is that fair?
 18 A. I think it's very fair, and I think that speaks to my
 19 point earlier when I was questioned around could
 20 a loggist perform a role of almost reminding you what
 21 you have and haven't done. I think it's very fair and
 22 I think that's a tactical adviser type role. Again,
 23 I think in 2017 we were not discussing tactical advisers
 24 being at scene. But that is certainly something that we
 25 do consider and talk about now, in response now.

1 I think their role is about not challenging as such but
 2 just making sure that things that should have been done
 3 have been done and I think that's very useful.
 4 Q. For instance, you've told, in answer to Mr Greaney's
 5 question, the inquiry what appointments you made. You
 6 very fairly accepted that there were two appointments
 7 you think you should have made that you didn't make,
 8 safety and equipment officer; is that right?
 9 A. They are appointments I didn't make. I think from an
 10 equipment -- safety I would accept. Equipment I should
 11 have made as per the plan. I'm not sure it would have
 12 assisted on the night particularly because it's my view,
 13 and again it may not be correct, but it's my view that
 14 we were okay for equipment, excluding the stretchers
 15 aspect.
 16 SIR JOHN SAUNDERS: There is a particular vehicle, isn't
 17 there, which you can get to come to these which have a
 18 large amount of equipment on them?
 19 A. Yes, but I'm --
 20 SIR JOHN SAUNDERS: If I can be reminded by somebody at some
 21 stage, what's it called?
 22 MR GREANEY: The national mass capability vehicle.
 23 A. That's not predicated on the establishment of an
 24 equipment officer.
 25 SIR JOHN SAUNDERS: But couldn't he say, "Shouldn't we get

1 that here”?

2 A. They could have done, yes.

3 SIR JOHN SAUNDERS: Did you think of it on the night?

4 A. No, I didn’t.

5 SIR JOHN SAUNDERS: If it occurred to you, would you have

6 got it there?

7 A. I think probably by the time I’d done that... I was

8 going to say would I have done it because by the time

9 I’d thought of it and done it, probably the advantage of

10 that vehicle probably would have disappeared, if that

11 makes sense.

12 SIR JOHN SAUNDERS: It makes sense, but I’m not sure you

13 would be going through that mentality.

14 A. That’s why I stopped. On reflection, actually, yes, an

15 equipment officer may well have said, "Actually where is

16 this equipment vehicle", although the thing is on my

17 action card, not theirs.

18 MR GOZEM: And just going beyond that particular vehicle,

19 I have read such a lot of material containing your

20 accounts of this incident in the various interviews you

21 gave. In some of them, and I’m not going to take you to

22 them, but do you accept that you said, "Yes, we did have

23 a shortage of blankets and we went back to the

24 ambulances to get blankets", and so on? Isn't the point

25 of an equipment officer that he effectively puts all of

1 the equipment out in a convenient place, sometimes

2 called an equipment dump, that people can go to without

3 them having to go back to individual ambulances?

4 A. Yes, you’re right, that’s the role. I think my point

5 was that when we did, or when it was reported that we

6 had an issue around blankets, as an example you quite

7 rightly point out, there was at one point oxygen

8 cylinders, it was very quickly rectified. I accept your

9 point, though, that an equipment dump could be done.

10 And that was also part of — when I very first

11 trained in major incidents, it used to be about the

12 first 10 ambulances almost unloading everything they

13 had, that was kind of a thing that we did. And with the

14 advent of the new equipment vehicles, we kind of stopped

15 talking about that because the special equipment

16 vehicles were going to come. Actually my view is we

17 should get back to the 10, the first 10 vehicles dumping

18 their equipment again because they are going to be there

19 a lot quicker and normally, obviously it would be

20 incident dependent, and would provide that equipment

21 dump very quickly.

22 Q. Thank you. Moving on now. Again, you very frankly

23 answered Mr Greaney’s questions about the whole concept

24 of co-location and communication and your lack of

25 contact with Inspector Smith. You’ll recall that?

1 A. Yes.

2 Q. I think in general terms, you would accept, wouldn't

3 you, that you really did not have enough information

4 about what was going on in the City Room?

5 A. I don't know if that's connected so much to

6 Inspector Smith. I guess my comments around myself and

7 Inspector Smith are we were both the Bronze commanders

8 for our individual organisations, we should have been

9 in the same place. I have to be honest, for me that

10 would have meant Inspector Smith coming outside and

11 staying there, not me going inside. So I think the two

12 things are slightly different.

13 But if you're asking: do I think I had adequate

14 information about the City Room? I knew roughly the

15 number of patients, I knew a bomb had gone off, I knew

16 we had P1s, and I knew they needed to come out. My view

17 was that I had enough information to develop my

18 operational plan.

19 Q. Let me take you then — do you remember Mr Greaney took

20 you to the major incident plan? I wonder if we could

21 have it up on screen, please, Mr Lopez. It's

22 {INQ013132/16}.

23 I wonder if you could highlight the bottom of the

24 page for us, please, enlarge it. Thank you.

25 It sets out in the part that was read to you:

1 "The key communication lines and partnerships for

2 the operational commander are..."

3 And then there is a series of bullet points.

4 I think by and large you went through those with

5 Mr Greaney. Then there's this paragraph at the bottom,

6 which I'm not sure was covered. Can I just read it out

7 to you:

8 "For complex incidents, for instance a rail crash or

9 multi-sited incidents, for instance a terrorist attack,

10 the incident may be divided into sectors. This will

11 require a separate commander for each sector. These

12 commanders, eg sector commander 1, 2, et cetera, would

13 be subordinate to the operational commander managing the

14 incident scene. Ultimately, the tactical commander will

15 determine the operational management structure depending

16 on the scale or nature of the incident."

17 So having read that to you, can I invite your

18 comment on this. This was a complex incident, wasn't

19 it?

20 A. Yes.

21 Q. It was a complex incident that involved a site that, as

22 you just frankly said, you weren't going to go into,

23 presumably because of its zoning, if you were going to

24 speak to Inspector Smith he'd have to come out? Is that

25 right?

1 A. Well, partly due to the zoning but partly due to -- my
 2 view is an FCP would need to be outside for the very
 3 same reasons as I was asked before about the
 4 distraction, the City Room -- you know, could being
 5 outside distract you from the City Room? Absolutely.
 6 Could being in the City Room distract you from the large
 7 incident just outside of the City Room? Absolutely. So
 8 being in either place, the FCP for me needed to be out
 9 the front, and that's why, when I said about meeting
 10 Inspector Smith outside, that was more what I was
 11 getting at, that the FCP would need to be outside.

12 Q. All right. But did it ever occur to you that
 13 designating the City Room as a sector at the scene and
 14 appointing a sector commander, presumably somebody from
 15 HART, would have provided you with access to the best
 16 possible information from the City Room throughout
 17 events?

18 A. Did it occur to me? No. I will qualify that with some
 19 view now. The expert report discussed the potential
 20 that Paddy could have been made into a sector commander
 21 and I get that. I think if I was to answer honestly,
 22 when we have discussed -- I've never been on an incident
 23 ever where sectors have been put into play. The sectors
 24 when we discussed them normally during training tend to
 25 be, and as an example they put there, a rail crash,

201

1 where you've perhaps got three upright carriages and two
 2 carriages that have fallen down an embankment. You
 3 would sector the upright carriages and then sector the
 4 carriages that are further away. I did not on the night
 5 make any consideration to should I treat these as two
 6 incidents.

7 When you do sector, you would often start to have to
 8 set up the command structures around those sectors
 9 separately as well, so you may well have to -- you could
 10 end up with two CCSs and two -- so it can sometimes make
 11 it more complex. If I was to apply my mind to it now
 12 for that incident, I accept the point that the experts
 13 are making that Paddy could have almost become a sector
 14 commander just to feed information. But I'm not
 15 convinced that the incident, albeit it looks a long
 16 way -- the incident was in one place and I think for me
 17 it was one incident.

18 I'm not sure if I -- God forbid, if I attended that
 19 incident now, would I sectorise it? I'm not completely
 20 convinced I would, but I accept I'm not an expert in
 21 this. I managed the incident how I felt was right on
 22 the night. The experts consider the possibility of
 23 sectorisation and I can't dismiss that now.

24 Q. No, but it's not dependent upon it being a multi-sited
 25 incident, is it? It also includes a complex incident.

202

1 Do you agree that you would have benefited from more
 2 information coming to you on a regular basis from the
 3 City Room?

4 A. So the first question was -- it was a complex incident,
 5 and of course it was, and I accept that it says that for
 6 complex incidents the incident may be divided into
 7 sectors. I think I've responded in terms of the
 8 sectorisation.

9 Did I need more information coming from the
 10 City Room? I think I still remain comfortable that
 11 I had the information needed for me to make the
 12 decisions I needed to make.

13 Q. We heard Paddy Ennis' evidence yesterday and he very
 14 generously accepted that he could have asked for more
 15 help and said that he acknowledged that you were in
 16 effect right to expect him to. But that rather goes
 17 against the whole ethos, doesn't it, of someone who's
 18 being asked to stand back, take stock, and pass
 19 information, not, as you put it in NWAS, putting gloves
 20 on, getting involved? Paddy Ennis was deeply involved
 21 in what was going on in the City Room, in triaging
 22 patients, wasn't he? And is it not a little
 23 unrealistic, if not unfair, to expect him in those
 24 circumstances also to be able to look around and give
 25 you regular situation reports?

203

1 A. No, and I think that's -- that part of my statement that
 2 was discussed yesterday. I wasn't for 1 minute
 3 suggesting that the onus was on Paddy to do so.

4 I totally accepted in that paragraph that I could have
 5 asked him as well. I also accepted that I didn't.
 6 I did get some information from -- I'm really clear on
 7 this: I definitely did get more information than perhaps
 8 we've captured from that City Room.

9 I think we said 35 minutes that he was up there.
 10 During my sort of operational command element, dealing
 11 with those patients, I think I had adequate information
 12 to do the job that I needed to do at that point.

13 SIR JOHN SAUNDERS: The reality is that because you were,
 14 rightly or wrongly, we'll have to think about, rigidly
 15 following the major incident, you didn't need much
 16 information.

17 A. No.

18 SIR JOHN SAUNDERS: Once you knew that there had been a bomb
 19 gone off there, as far as you were concerned, none of
 20 your people were going in there except the HART team?

21 A. Yes, sir.

22 MR GOZEM: Yes. You don't think, should you find yourself
 23 in a similar situation, you'd appoint a sector commander
 24 to get information from the City Room?

25 A. If the exact same -- well, if I found myself in the

204

1 exact same situation again, clearly our policies and
 2 procedures have changed now anyway. And yes, maybe
 3 I would consider a sector commander. My response before
 4 was -- on the night I didn't consider it and I do think
 5 that I got the information -- if it's for an information
 6 flow, I did get the information. It would be different
 7 now.
 8 SIR JOHN SAUNDERS: Because you'd need more information
 9 about how safe it was?
 10 A. Yes. Now there's potential that some more may have gone
 11 in -- we're talking theoretically here -- in which case
 12 I may have needed a sector or it may be that a primary
 13 triage officer then becomes or the HART team leader --
 14 I think it's very difficult to apply now what happened
 15 on the night, if that makes sense.
 16 MR GOZEM: Are we agreed, I want to be clear that I've
 17 understood your evidence, that there was nothing to
 18 prevent you sending HART team operatives into the
 19 City Room, was there?
 20 A. There was nothing to prevent me from sending HART team
 21 operatives into the room?
 22 Q. Yes.
 23 A. No, there wasn't.
 24 Q. We know that you sent two.
 25 A. Yes, that's correct.

205

1 Q. In simple terms, then, why didn't you send more?
 2 A. During the original or the initial deployment of HART,
 3 there was only two available to me.
 4 Q. Yes.
 5 A. So that was, I think, 23.15 that they mobilised in.
 6 Then at 23.20, which I think is when the next sort of
 7 four arrived at scene -- I think it was said at 21
 8 previously, I ... I don't recall being made aware that
 9 they were ready to deploy. And that again, you know,
 10 may talk back to an error on my part, it may talk back
 11 to just not knowing that they were ready to deploy, but
 12 I don't remember being made aware they were ready to
 13 deploy.
 14 SIR JOHN SAUNDERS: I have been brought more up to date with
 15 this. Apparently it was Mr Beswick's decision not to
 16 send the others in, I'm told. That rather indicates
 17 a rather split command going on --
 18 A. It does.
 19 SIR JOHN SAUNDERS: -- and it should have been you.
 20 Actually you did have Mr Beswick there, you didn't have
 21 just two to go in, you had three.
 22 A. Yes. He could go in. I think from a physical sense
 23 there's no reason why he couldn't go into that room, but
 24 my experience of the HART team leader -- it's very
 25 incident-dependent, but invariably the HART team leader

206

1 will lead their team. So yes, he could physically go in
 2 but he would still be in a leadership position, if that
 3 makes sense, rather than doing the physical work that
 4 the HART were completing. At a number of incidents
 5 you will get the HART team leader staying quite close to
 6 the operational commander because they are communicating
 7 with their team by radio and they then feed that or
 8 discuss things with you --
 9 SIR JOHN SAUNDERS: Did that happen?
 10 A. It may be that that's where I got more information.
 11 I certainly got information and it's just not here but
 12 I certainly did get information. I think one of my
 13 updates -- I have looked at the numbers and that has
 14 come from information that's come out of the City Room.
 15 So there is an information flow, I just can't recall it,
 16 I'm sorry.
 17 MR GOZEM: Is the position that you felt that the regime
 18 that was in place, once the two HART operatives went in
 19 was working, working well, and that's why you left it
 20 without sending any more in right through to the end?
 21 A. It's certainly true that I felt that the system was
 22 operating well. As I say, I honestly don't recall being
 23 offered the second two paramedics. I think, if I've
 24 understood correctly, Mr Beswick has said that he didn't
 25 offer them. I honestly just don't remember being

207

1 offered the next two HART team members.
 2 Q. Do you remember having a discussion with him about
 3 setting up the CCP or CCS?
 4 SIR JOHN SAUNDERS: It was the CCP he was talking about.
 5 Again that's just my memory. And you don't have
 6 a recollection of it, I gather?
 7 A. No, I just wouldn't ask somebody to set up a CCP outside
 8 of a CCS. If I've given an instruction of that nature,
 9 then it may be a mis-communication on my part or both.
 10 I am fairly confident it would have been to assist
 11 in the -- not assist, sorry, to set up or assist within
 12 the CCS. I just -- it would just make no sense to have
 13 a CCP outside.
 14 MR GOZEM: Let's not -- that's the wrong way of putting
 15 it -- split hairs about whether it was a P or an S
 16 outside. Did you see his evidence, him talking about
 17 using a tarpaulin to set up the area?
 18 A. Yes. That was outside, yes.
 19 Q. Right. So that's what he did, is it?
 20 A. I don't know if Simon Beswick did that -- I'm sorry, the
 21 tarpaulin that was set up outside? I couldn't tell you
 22 when that was set up. I just know it did get set up at
 23 some point. Whether that was an attempt at a CCS,
 24 I don't know. I've allocated a casualty clearing
 25 officer at that point, so the station becomes the

208

1 responsibility of that individual in terms of how it is
 2 being managed and set up, if that makes sense. Sorry.
 3 Q. I think it does. Let's see if we can wrap this up.
 4 There's no question, is there, that when HART
 5 arrive, you are in command of the HART resources?
 6 A. Yes.
 7 Q. So whatever he was doing, it was always open to you to
 8 say, "I want you to stop doing that and I want you to do
 9 something else", for instance had you wanted him to go
 10 to the City Room?
 11 A. Yes.
 12 Q. And the reason that you didn't do that seems to be
 13 a mixture of in part you didn't know that they were
 14 there or when they arrived and, secondly, that you
 15 didn't think any more resources were needed in the
 16 City Room?
 17 A. I thought the operational plan was working and if any
 18 more resources were needed, then that would have been
 19 requested and dealt with. But I honestly don't remember
 20 them -- I also don't remember them being offered to me
 21 or arriving, but I believe -- please believe me when
 22 I say it may be very clear that I was told they'd
 23 arrived, I just don't recall it.
 24 Q. All right. Did the issue of pain relief for those who
 25 were in the City Room and who had been there for quite

1 a long time since the explosion ever cross your mind?
 2 A. No, it didn't. I think Mr Ennis spoke about this
 3 a little bit yesterday, didn't he? It would be unusual
 4 to manage -- no, it would be unusual to administer pain
 5 relief in that setting. I think there are potential
 6 options available, not to NAWAS on that night, but there
 7 are oral inhaled pain management medicines that you can
 8 give in those situations. I do know for a short time
 9 the HART team were trialling something of that nature.
 10 But on the night, it wasn't discussed with me, it
 11 wasn't -- it didn't form part of my thinking and I think
 12 rightly or wrongly, it wasn't something that would be
 13 routinely done in that sort of area.
 14 Q. But it was hardly a routine incident and there were some
 15 people who were very severely injured, yet conscious,
 16 weren't there?
 17 A. There were, but when I say routinely done in that area,
 18 when you are working in a warm zone, which they were,
 19 the casualty management plan is obviously to remove
 20 those patients as quickly as possible, and pain
 21 management would not be part of -- as it clearly says,
 22 and again this is procedural stuff, as it clearly says
 23 in the procedures, immediately life-threatening
 24 treatment, and then move -- you know, are we in
 25 a different position now? Possibly because we've got

1 more options for working in warm zones. But at the time
 2 I don't think -- I'm not saying I was correct, but
 3 I don't think it was part of our routine work to do pain
 4 management in a warm zone. And I know that will sound
 5 distressing to people, but at the time that was the
 6 training that we had.
 7 Q. This much I wonder if you can agree with: had there been
 8 more paramedics, HART paramedics, in the City Room,
 9 it is likely that the evacuation of patients from the
 10 City Room would have been concluded earlier. Do you
 11 agree?
 12 A. Well, the option I had was a further three. I think the
 13 carrying -- you know, the individuals that were up and
 14 down doing the carrying were doing that as quickly as
 15 possible. So no, I'm not sure that an extra three
 16 individuals in the City Room in terms of paramedics
 17 would have sped up the process of moving patients
 18 unless -- and I think Paddy spoke yesterday, didn't he,
 19 around the prioritisation, he was talking about how they
 20 were so rapid that he was keeping up with them. So
 21 I accept that maybe he could have directed quicker, but
 22 I'm not sure those extra two... Maybe I'm the wrong
 23 person to ask actually in terms of I wasn't in the
 24 City Room, but I'm not convinced it would have made the
 25 process of moving patients quicker.

1 Q. Well, let's put it another way so that we don't seem to
 2 be splitting hairs. Would it have made the process of
 3 identifying the patients who were ready to be moved
 4 quicker?
 5 A. Potentially. But I'm not aware of any delays of that
 6 nature. Potentially it could have made that quicker but
 7 from what I have seen and the timelines involved in
 8 moving those patients, I think that system appeared,
 9 both in the evidence presented and on the night, to have
 10 been very quick. Once it commenced it was 30-odd
 11 minutes and it was complete, which is a lot for that
 12 number of patients.
 13 MR GOZEM: Sir, those are my questions. Thank you very
 14 much, Mr Smith.
 15 SIR JOHN SAUNDERS: Thank you, Mr Gozem.
 16 MR GREANEY: Mr Atkinson next, please.
 17 Questions from MR ATKINSON
 18 MR ATKINSON: I ask questions on behalf of the bereaved
 19 families as well.
 20 Just on that last point, if there had been more
 21 paramedics, HART paramedics, in the room, would it have
 22 been more effective in identifying those who needed to
 23 be moved out first?
 24 A. I don't know how I can... I don't know if I'm best
 25 placed to answer that. I think in general terms, you

1 might be able to -- you know, more paramedics make
 2 sense, you could argue that it's more efficient. But
 3 I'm not -- I don't think I'm sighted on everything that
 4 transpired in the City Room enough for me to be the
 5 right person to say actually: this was a gap which could
 6 have been filled there and would have made it more
 7 efficient. I'm not trying to -- please, I'm not trying
 8 to avoid the question, I'm just not sure that I can
 9 answer that question with any authority.

10 Q. Just in this sense and then I'll move on: if you had
 11 more people qualified and able to do the triage, to
 12 identify those who were P1s, to label them, if you know
 13 what I mean as P1s, and say, "This one next", then those
 14 who were trying to get them out would know more
 15 comprehensively who the P1s were and who needed to go?

16 A. I accept the point, but I'm not aware of any delays. So
 17 if you're asking me the question is that -- "Would that
 18 have made things quicker on the night", I am not aware
 19 of any delays experienced by those teams. I'm not
 20 saying they didn't happen but I'm not aware of it so
 21 I can't say that that would have made things quicker
 22 because I'm not aware of any delays that were in
 23 existence.

24 If you say in general terms if there are mass
 25 numbers of casualties, they all need labelling, and

1 there are teams collecting, and the more paramedics
 2 there are to do that, the more efficient it will be,
 3 of course. But I don't know if we needed more than two.

4 By the time the three arrived, which is the last
 5 20 minutes of the movements of those patients, I don't
 6 know if that would have made much of a difference
 7 because it was three paramedics in a room then with
 8 however many were left at the 20 minutes left mark.

9 Q. Just on however many were left, would you accept that in
 10 terms of your assessment of resources as an operational
 11 commander, you really had no independent knowledge of
 12 what was needed in the City Room at all, did you?

13 A. As in have I formed the view myself?

14 Q. You had some information from Mr Ennis in a brief
 15 conversation before he went back up, you had not spoken
 16 to the GMP operational commander, you had not spoken to
 17 any firearms commander. And so in terms of assessment
 18 of risk and in terms of understanding of what was
 19 needed, that was all you had, wasn't it?

20 A. Well, I'd spoken -- I'm not sure. I'd certainly spoken
 21 to firearms officers downstairs and police sergeants
 22 downstairs. And obviously Paddy in terms of -- and
 23 accepting that it was brief but it was still
 24 a conversation and obviously his updates through -- so
 25 I formed a view -- and I think on the night, if you

1 think back to what I knew and what was true, I actually
 2 had a fairly decent understanding of what had happened
 3 and what was needed.

4 Q. So was it your understanding that this was not
 5 a marauding firearms terrorist --

6 A. Firearms certainly, yes.

7 Q. -- but a bomb had gone off? Were you aware of whether
 8 the police had assessed that there was a risk of
 9 secondary devices or not?

10 A. I was aware that risk assessments were being completed.
 11 As an example, explosives dogs were searching and that
 12 sort of thing, so I was aware that was in play, and
 13 certainly slightly later, probably getting towards the
 14 time that Mr Hynes took over from me, there was another
 15 conversation around the risk of secondary devices and
 16 obviously, shortly after Mr Hynes took over from me, we
 17 had controlled explosions and things.

18 Q. In terms of an assessment of the City Room more
 19 specifically in that regard, did you know what the
 20 police assessment of that was in the time that you were
 21 operational commander?

22 A. At one point I was certainly told -- and this is
 23 downstairs by police -- that the City Room hadn't been
 24 cleared. In fact I was told that nowhere had been
 25 cleared for secondary devices, if I'm honest. So it

1 wasn't specific to the City Room, I was told that
 2 nowhere had been cleared.

3 Q. In terms of the HART team and their role and your
 4 understanding of it and who asked them to do what, can
 5 we just follow it through, because you'll appreciate,
 6 Mr Smith, that certain families I represent have read
 7 your various witness statements and that gives rise to
 8 some concerns on their part which we'll see if we can
 9 help them with. I don't know if you have all your
 10 statements there.

11 A. I do, yes.

12 Q. I know that at one stage we were deprecated from putting
 13 statements up on screen. If it would help as we go
 14 along, I'm very happy to give references.

15 To start with, please, Mr Smith, your statement to
 16 the Greater Manchester Police of 29 January 2018.
 17 {INQ005445/8}, if you would. Do you see a paragraph
 18 beginning "also around this time"?

19 A. Yes.

20 Q. "Also around this time, the HART team arrived. I can't
 21 recall if it was a little bit before or after. The
 22 HART team leader for that night was Simon Beswick and he
 23 asked me where they were needed and what I wanted them
 24 to do. I told him to start setting up in the area where
 25 we were stood as the casualty clearing/collection point

1 would likely to be here and asked him if he was okay
 2 with that."
 3 And the CCTV -- I'll be corrected by Mr Greaney when
 4 I'm wrong -- shows that you spoke to Mr Beswick outside
 5 the station by the war memorial entrance.
 6 A. Yes, I think it's slightly -- yes.
 7 Q. "He agreed and started setting up their equipment.
 8 I advised him currently the limit of exploitation was to
 9 the bottom of the stairs inside the arena."
 10 So the stairs that go up on to that higher level
 11 towards the City Room?
 12 A. Yes.
 13 Q. "At this point it was still very early in the incident
 14 and I was satisfied that we were in a safe area
 15 currently. We were still not sure of the
 16 threat/ possibility of secondary devices or firearms.
 17 Following a discussion with Simon, I was aware that two
 18 HART team members with PPE were volunteering to assist
 19 in what would be defined as the hot zone, the area where
 20 the terrorists remained."
 21 Are you there talking about the City Room?
 22 A. Yes.
 23 Q. Was it your assessment it was a hot zone?
 24 A. No. But I was told on the night, after my period of
 25 command, that it had been designated a hot zone. It was

1 my view all the way through, really, that it wasn't
 2 a hot zone. It obviously had been at a point. So
 3 I actually disagreed with the designation, although
 4 I wasn't in a command position at that point.
 5 I've said in my statement that it was a hot zone
 6 because my understanding when I gave this statement was
 7 that that was in the end what it had been defined as.
 8 As it happens, from what I've seen now, it was
 9 designated a hot zone and then got reduced down to
 10 a warm zone. That is my understanding from some of the
 11 evidence I've seen, but I am not convinced -- on the
 12 night, sorry --
 13 Q. Just on the night?
 14 A. On the night, for me, I didn't think that was a hot
 15 zone.
 16 Q. And you weren't proceeding on the basis in your
 17 decision--making that it was one, were you?
 18 A. Pardon?
 19 Q. You were not proceeding in your decision--making on the
 20 basis that it was hot, you were proceeding on the
 21 basis --
 22 A. It was warm, yes.
 23 Q. And you go on to say:
 24 "The two people who put themselves forward were
 25 Lea Vaughan and Chris Hargreaves."

1 And we know that they went in. All right?
 2 If you then have your statement of 1 November 2019,
 3 which is {INQ025656/9}. In paragraph 32 what you say
 4 is:
 5 "Since this incident, I have considered with great
 6 reflection the fact that three staff under my control
 7 entered a zone that, in accordance with the standard
 8 major incident response, they should not have been
 9 permitted to enter into and I accept that on strict
 10 interpretation of policies and proportion, they should
 11 not have been permitted to enter the City Room."
 12 Just pausing there, are the three you're talking
 13 about there Mr Ennis, Ms Vaughan and Mr Hargreaves?
 14 A. Yes.
 15 Q. On your assessment, as you have told us, of the
 16 City Room, Ms Vaughan and Mr Hargreaves were permitted
 17 to enter it in accordance with the policies and
 18 procedures?
 19 A. Yes.
 20 Q. Can you help us with what you meant there?
 21 A. So either ... I don't know. So either I was still at
 22 this point -- because it is only during this process
 23 that I've been clear that it wasn't designated a hot
 24 zone. So either I was still of the view that the hot
 25 zone designation was in place or it's a mistake in my

1 statement.
 2 Q. I'm sure it's just me. Was it not your assessment on
 3 the night that it was a warm zone?
 4 A. My assessment on the night was it was a warm zone and
 5 when I was told later on that night, that it was a hot
 6 zone, I actually queried that in my mind, thinking,
 7 well, there needs to be active terrorist activity for it
 8 to be a hot zone, so I don't know why it would be a hot
 9 zone, if that makes sense. So on the night --
 10 MR GREANEY: I'm really sorry to interrupt. I've become
 11 a little confused. I may have created a confusion. We
 12 obviously have two different descriptions of zoning.
 13 We have the NWAS zoning and we have the Plato zoning.
 14 I think that when the witness describes an area as warm,
 15 he's using the Plato zoning and is therefore describing
 16 what NWAS would describe as the inner cordon.
 17 A. Yes.
 18 MR GREANEY: Am I correct?
 19 A. Yes.
 20 MR ATKINSON: Thank you. And that being so, would that have
 21 stopped Ms Vaughan or Mr Hargreaves as HART operatives
 22 from going in?
 23 A. To a warm zone, no.
 24 Q. To the City Room as you understood it to be?
 25 A. Yes.

1 Q. So here when you're saying that the procedures ought to
 2 have stopped you letting them in, is that just a mistake
 3 in the statement?
 4 A. It's either a mistake in the statement -- but what I was
 5 trying to say is that my view on the night was that it
 6 was a warm zone and it was treated as a warm zone. But
 7 on the night -- later -- well, later in the evening,
 8 into the next day, I was told that the City Room had
 9 actually been a hot zone. That is, as I understand
 10 what's then come out through this inquiry, not strictly
 11 true. When I made that statement, either I'm still of
 12 that view and I haven't found out that that's not the
 13 case or I have made a mistake in my statement. Does
 14 that make sense? Sorry, I've... I don't know if I'm
 15 explaining it right.
 16 SIR JOHN SAUNDERS: Don't worry, that's fine by me,
 17 thank you.
 18 MR ATKINSON: We'll move on. Still the same paragraph:
 19 "I further appreciate that there may be questions in
 20 light of permitting three members of staff to enter the
 21 City Room as to why I did not allow more staff in to
 22 that area to treat casualties. In this respect I am
 23 content that allowing more staff into that area would
 24 have resulted in the establishment of a CCS [casualty
 25 clearing station] type area and my operational plan

221

1 throughout was that patients should be triaged and
 2 removed from the immediate blast zone as soon as
 3 possible for onward treatment in an area that was more
 4 suitable for this purpose."
 5 Then you go on to say:
 6 "Furthermore, care of casualties within a warm zone
 7 should be limited to management of airway and
 8 catastrophic haemorrhage."
 9 So on the face of that, it appears that there you
 10 were suggesting that the reason you didn't let more
 11 people in was because you didn't want to inadvertently
 12 thereby create a casualty clearing station in the
 13 City Room?
 14 A. Yes, but I think we're talking broader there. So when
 15 I am applying that comment what I mean by that is the
 16 expectation, which is wholly understandable, is that all
 17 those paramedics that were downstairs would just go up
 18 to the City Room and work in that City Room. That is
 19 not what I wanted. Again, I noticed in the expert
 20 reports that they disagree that sending up more HART
 21 could have resulted in a CCS. I'm not sure that's what
 22 I meant. What I meant was the expectation around
 23 sending considerable numbers of paramedics into the room
 24 would have resulted in that area all of a sudden
 25 becoming a CCS. That would not have been right for the

222

1 patients.
 2 SIR JOHN SAUNDERS: The reality is that if you're sending
 3 people in and it was HART you were sending in, you would
 4 be sending them in and saying, "Get them out as quickly
 5 as possible"?
 6 A. Yes.
 7 SIR JOHN SAUNDERS: And that's what you're going in there to
 8 do?
 9 A. Yes. I think what I was trying to do there was
 10 (overspeaking) --
 11 SIR JOHN SAUNDERS: You were trying to deal with the public
 12 perception that you should have flooded the area with
 13 paramedics, okay.
 14 A. Yes. That's all.
 15 MR ATKINSON: Finally on this point, can we go to your
 16 statement of 16 July of last year, {INQ034766/4},
 17 paragraph 11:
 18 "When the team leader for HART, Simon Beswick,
 19 arrived I briefed him about the incident and asked what
 20 resources he had available for the purpose of forward
 21 triage. I am aware that HART teams comprise five
 22 paramedics and a team leader. Simon told me he had two
 23 members of the team willing to move forward. I knew
 24 that HART work in pairs to carry out basic triage and
 25 I was content with the deployment of two HART operatives

223

1 in the City Room and authorised that deployment.
 2 "At this time the operational plan was progressing
 3 with patients coming down into the concourse area.
 4 I do not believe I was aware that only three members of
 5 HART were present at the time of our discussion although
 6 that fact does not alter my view that I was content to
 7 send up two members of HART staff. Simon, as the team
 8 leader, did not deploy, which is what I would expect.
 9 He provided valuable support in setting up the command
 10 structure in and around Victoria Station."
 11 You go on in the next paragraph to talk about
 12 needing specialist resources to establish a casualty
 13 clearing station.
 14 And in that context, were you talking about
 15 Mr Beswick as a specialist resource to help with that?
 16 A. Sorry, I'm just reading where I go on to require
 17 specialist ...
 18 (Pause)
 19 Yes. What were you asking, sorry?
 20 Q. I was just trying to, by looking at your statements, to
 21 see if we can get your help in terms of clarity. Did
 22 you talk with Mr Beswick about him having a role in
 23 setting up the casualty clearing station?
 24 A. I don't think I would have directed him personally. I'm
 25 more likely to say "him" meaning the team, if that makes

224

1 sense, the HART operatives.
 2 Q. Just to understand, you knew there were three of them
 3 that had arrived thus far?
 4 A. Yes. Simon and the two, yes.
 5 Q. And two of them were going to go into the City Room, so
 6 that left him?
 7 A. Yes.
 8 Q. So were you not in reality asking him to help you set up
 9 the casualty clearing station?
 10 A. No, I would have -- well, if I was saying to him set up
 11 the casualty clearing station it was because I wasn't --
 12 it would have been about his team, not just him.
 13 I wouldn't expect -- I would expect -- so HART carry
 14 equipment, as you know, and they carry equipment to
 15 assist at a major incident. When I say, "Set yourself
 16 up here", what I mean is, "Set yourself up here, you
 17 guys should be forward". I don't mean forward into the
 18 City Room but forward at Victoria Train Station.
 19 So if I've instructed him to -- and I don't recall
 20 doing it, but if I have, to set up the CCS, I've
 21 instructed his team to set up the CCS not necessarily
 22 him, perhaps not appreciating he was on his own at that
 23 point.
 24 Q. Following on with that in terms of the message that
 25 Mr Beswick would have understood given that he knew that

225

1 there were further HART operatives on their way as to
 2 where they were to go and would you agree that clearly
 3 if there were HART operatives arriving at that time or
 4 within minutes of it, the place they needed to be was
 5 following their two colleagues up into the City Room to
 6 speed up that process?
 7 A. Well, what should have happened was that there should
 8 have been a conversation between Si Beswick and his two
 9 forward operatives that are in the room to say, "What
 10 support do you need", and then, if they said, "We're
 11 okay", or not, as could have been the case, then his
 12 request should have been then a request to go forward.
 13 So Simon Beswick is the communication link between the
 14 HART team that are inside the City Room and myself so
 15 I would have expected that conversation to happen.
 16 Q. You were in charge?
 17 A. Yes.
 18 Q. So far as Simon Beswick was concerned you were in
 19 charge?
 20 A. Yes.
 21 Q. And do you agree that you did not say to him in terms,
 22 "Are there more HART personnel coming than these two"?
 23 A. I didn't say that, but they always travel in a team of
 24 six, if that makes sense.
 25 Q. That being the case, did you say to him, "Where are the

226

1 rest of your HART team? They need to go upstairs"?
 2 A. No.
 3 Q. Or, "When the rest of your HART team get here, they need
 4 to go upstairs"?
 5 A. No. And that wasn't my intention. My intention -- we
 6 had deployed two, that is a balance of risk. My view
 7 is that you don't automatically send the whole team. So
 8 those conversations could have been had between Simon or
 9 me, I am not saying -- you know, this is not me blaming
 10 Simon by any stretch of the imagination, but it would
 11 not have been, as they arrived, an automatic send
 12 forward; there needed to be a discussion at that point.
 13 Q. The message you may have been conveying to Simon was
 14 that the HART team that hadn't gone upstairs yet needed
 15 to be setting up the casualty clearing station. Because
 16 that, as you've agreed with me, is what you were saying
 17 to him.
 18 A. I ... Yes. Maybe. I honestly don't recall that
 19 conversation. However, if I've said that and that was
 20 his interpretation of what I've asked him to do, then
 21 I don't know if that was before or ... It would be about
 22 the time that that happened. My honest recollection of
 23 what went on was that the two went forward, that I was
 24 happy with in terms of -- and I don't mean happy, but in
 25 terms of the balance and the risk that we were putting

227

1 them through. When others arrived, I don't recall
 2 a specific conversation about what those others do and
 3 I'm sorry if -- I'm desperately trying to help you but
 4 I do not recall what the specifics were about the rest
 5 of those teams.
 6 Q. And there are two possibilities for there being a lack
 7 of a call from the room for more, would you agree? One,
 8 that they didn't need it, the other they were just too
 9 busy to say so? And from downstairs, you wouldn't have
 10 known the difference, would you?
 11 A. We wouldn't and that's why in my statement I have
 12 completely accepted that whilst I didn't hear back
 13 I could have made more of a concerted effort to ask
 14 those questions. But alternatively I will also say that
 15 there was definitely conversations between myself and
 16 Paddy that haven't been recorded and I cannot say what
 17 the content of those were but there was definitely
 18 dialogue.
 19 MR ATKINSON: Thank you, sir.
 20 SIR JOHN SAUNDERS: Thank you very much.
 21 MR GREANEY: Sir, I know that most in the room are content
 22 to sit until 5.15 if that will enable us to finish the
 23 witness. I'm looking to Mr Jamieson who I know has some
 24 questions.
 25 SIR JOHN SAUNDERS: Are you all right to carry on? Are you

228

1 sure?
 2 A. Yes.
 3 SIR JOHN SAUNDERS: Okay.
 4 MR JAMIESON: Sir, I previously indicated to Mr Greaney that
 5 my questions I anticipate will be in the order of 10 to
 6 15 minutes and that will exhaust the time until 5.15.
 7 MR GREANEY: I'm going to check with Ms Roberts whether she
 8 thinks there's a realistic chance of finishing by 5.15
 9 if the time until then is used up by Mr Jamieson or
 10 whether she will have substantial questions.
 11 MS ROBERTS: So far I don't have questions, but can
 12 I reserve my position until after I've heard from
 13 Mr Jamieson? Can we see how we go?
 14 SIR JOHN SAUNDERS: Yes. We're probably testing people's
 15 patience but the reality is that the witness wants to
 16 get it finished and obviously it is neater if we can,
 17 but equally questions have to be asked.
 18 Questions from MR JAMIESON
 19 MR JAMIESON: I shall aim not to provoke questions from
 20 behind if I can.
 21 Mr Lopez, please may I have on the screen the major
 22 incident manual, {INQ013132/37}. This is the first of
 23 three topics, Mr Smith. I also ask questions on behalf
 24 of the families and this is about tourniquets.
 25 What we have is a diagram of the triage sieve to

229

1 orientate you and it comes from the major incident
 2 manual. The reason I put it on the screen is I wanted
 3 to draw your attention to the fact that the first stage
 4 of the sieve is the application of tourniquets to those
 5 that require it, and haemostatic dressings.
 6 We heard in this inquiry at an earlier stage from
 7 Brigadier Hodgetts and he told us -- sir, I don't ask
 8 that this goes up but the reference is Day 68, page 21,
 9 line 4 {Day68/21:4} -- that in effect the thinking
 10 behind that being at the top of the tree is that the
 11 most commonly avoidable cause of death from combat--type
 12 injuries is external bleeding and specifically external
 13 bleeding from limbs. You are nodding. Is that
 14 something you knew as of 22 May 2017?
 15 A. Yes, and -- yes.
 16 Q. Thank you. On that day, until the arrival of HART, at
 17 around 23.15, the only NWAS resource in the City Room
 18 was Mr Ennis. Did you know, simple question, whether
 19 he had any, and if so how many, tourniquets with him?
 20 A. I wasn't aware.
 21 Q. Okay. The purpose of him being in the City Room was to
 22 fulfil the triage sieve; is that right?
 23 A. Yes.
 24 Q. And I make plain -- let me put this in context. The
 25 other things that you didn't know were -- I don't think

230

1 at that stage you had received any information about the
 2 type of injuries that people in the City Room had
 3 suffered. You were told about their severity --
 4 A. I was aware that it was a shrapnel -- during...
 5 Q. Sorry to cut across you, but can I make it simpler? Had
 6 you been told whether, and if so how many, limb
 7 injuries?
 8 A. No.
 9 Q. How many might require the application of a tourniquet?
 10 A. No.
 11 Q. I make it plain, Mr Ennis' evidence was that none of
 12 those that he assessed required the application of
 13 a tourniquet, not something that's accepted, which is
 14 why I'm asking you. But in terms of your operational
 15 management of what was going on in the City Room,
 16 could you have confidence that he was capable of
 17 performing the triage sieve without knowing whether
 18 he had sufficient tourniquets?
 19 A. Again, I don't wish to deflect from my responsibilities.
 20 I completely 100% accept that I am the operational
 21 commander and hold responsibility for that incident.
 22 But I would expect if a tourniquet requirement -- if
 23 tourniquets were identified as being required, I would
 24 expect that request to come to me rather than me needing
 25 to proactively manage every element of every aspect of

231

1 the incident. So the reason we assign roles is to try,
 2 perhaps unsuccessfully, to reduce the burden on the
 3 operational commander, who is doing a lot.
 4 Again, I want to reiterate, I completely accept that
 5 I was the operational commander for that incident and
 6 that is not to enter blame towards any other clinician.
 7 SIR JOHN SAUNDERS: We absolutely understand all that. What
 8 you're saying is in the normal course of events, if he
 9 needed tourniquets, you would expect him to tell you?
 10 A. I would expect him the request to come to me, yes.
 11 MR JAMIESON: Thank you. That completes that topic.
 12 SIR JOHN SAUNDERS: Sorry to cut you off.
 13 MR JAMIESON: The forward doctor, something that Mr Greaney
 14 asked you about before lunch. You were asked:
 15 "What that is and did you appoint one?"
 16 You said at [draft] page 123, line 2 {Day110/126:1}:
 17 "A forward doctor is somebody that would move
 18 forward almost from the FCP forward into an incident if
 19 it was required and, no, I didn't appoint one."
 20 We didn't have an FCP, but forward into an incident,
 21 had one been appointed at this stage.
 22 And I'm not revisiting at the moment the issue of
 23 risk and who went into the City Room, but if there was
 24 going to be a forward doctor and if it was appropriate
 25 that's where they'd go, into the City Room?

232

1 A. Yes, without -- yes.
 2 Q. Yes. In that light, may we just have a look at the
 3 major incident plan action cards to see what a forward
 4 doctor would do. {INQ013422/36}, please.
 5 I wonder if we could crop in on the top of the page,
 6 please, number 3. I'm not going to read all of these.
 7 We can see it's the action card number 18 for the
 8 forward doctor. I'm not going to read all of the
 9 aspects of it. But we can see that number 3 includes:
 10 "Working in liaison with the medical adviser for the
 11 triage treatment and transportation of all casualties
 12 in the sector allocated."
 13 If we look at the bottom of the page at number 9:
 14 "Work in the forward area to ensure that the most
 15 appropriate medical management of casualties is
 16 undertaken and that clinical records are commenced."
 17 Perhaps of secondary importance.
 18 And over the page, please, Mr Lopez, number 15
 19 {INQ013422/37}:
 20 "Provide technical medical advice to all services
 21 and agencies at the sector in which allocated."
 22 Those are some of the functions of the forward
 23 doctor.
 24 A. Yes. If I'm being frank, I was quite surprised at that
 25 line being in there because I would have thought that

233

1 was more akin to a medical adviser, but that's the
 2 action card for the forward doctor, yes.
 3 MR JAMIESON: Thank you. That completes that topic, sir,
 4 unless there are any questions you have.
 5 SIR JOHN SAUNDERS: No, thank you very much.
 6 MR JAMIESON: The third topic is this, and it's really
 7 confronting something that is implicit, I suggest,
 8 in the evidence you've given so far. I'll deal with
 9 this in headline form, if I can. Your assessment of the
 10 risk presented in the City Room is that it was such that
 11 paramedics should not deploy there. In the light --
 12 A. I was corrected on that earlier, but non--specialist
 13 paramedics, yes.
 14 Q. Yes, non--specialist without ballistic protection?
 15 A. Yes.
 16 Q. Putting that to one side, don't let me lead you if you
 17 disagree with that --
 18 A. Well, the ballistic protection is a slightly side issue
 19 because obviously ballistics is around the MTFAs things,
 20 but the zone they were in is a HART team operative zone.
 21 Q. So non--HART paramedics shouldn't go there?
 22 A. Yes.
 23 SIR JOHN SAUNDERS: Can I just say, my view of your evidence
 24 is it's not an assessment of risk by you, it's following
 25 the plan.

234

1 A. True, but I think the risk is based on what's happened,
 2 which defines the zones. So I wasn't going to disagree
 3 with it being a risk assessment because the risk defines
 4 the zoning.
 5 SIR JOHN SAUNDERS: But it does it for you?
 6 A. Yes.
 7 SIR JOHN SAUNDERS: One you decide it is the inner cordon,
 8 they can't go in?
 9 A. Yes.
 10 MR JAMIESON: If I may say so, sir, that's precisely the
 11 next point I was going to make.
 12 This wasn't a spur of the moment decision you were
 13 making, this was you, a senior representative of your
 14 organisation, construing the training and the plans that
 15 you had exercised, learned about, over the years, and
 16 that was your clear understanding of what those were?
 17 A. Yes.
 18 Q. P1 and P2 casualties. By their nature, by their
 19 classification, cannot self--evacuate, they can't walk?
 20 Otherwise they would be P3.
 21 A. Yes.
 22 Q. In the situation that presented itself at the arena,
 23 they were going to require somebody to take them out of
 24 the City Room and bring them to where the paramedics
 25 were in order that they could receive the interventions

235

1 that they required?
 2 A. Yes.
 3 Q. It was obvious as time progressed that the people who
 4 were fulfilling that function were unarmed police,
 5 members of the public, and stewards from the arena.
 6 I acknowledge again what I have said already, that you
 7 were fulfilling the plans and the policies as you saw
 8 them and it really is not for a lawyer in a courtroom to
 9 criticise a first responder about acceptance of personal
 10 risk.
 11 But does it follow that it was an inevitable
 12 corollary of those factors, in effect those categories
 13 of people that I have listed, unarmed police, members of
 14 the public, stewards, were going to have to take risk
 15 that was considered inappropriate for paramedics in
 16 order that those P1 and P2 casualties would be treated?
 17 A. Well, either that, or had myself and Inspector Smith
 18 discussed risk and been able to, I don't think we would
 19 have been, but been able to because obviously it
 20 continued as a warm -- so it follows that we would need
 21 to use the HART team in that area. There is
 22 a methodology that is probably even -- or slightly more
 23 undignified as in the way that it was done in terms of
 24 literally just dragging someone to a different area
 25 using the Sked, and using obviously Fire and Rescue

236

1 Service, et cetera, that could have been deployed on the
 2 night.
 3 So the reason that I think we allowed to -- no,
 4 correction: the reason that I allowed to happen what
 5 happened is because I felt that that was working as an
 6 operational plan.
 7 In terms of other options, in general, the HART
 8 team, as far as the Ambulance Service were concerned,
 9 were the individuals that needed to -- you know, could
 10 work in that area. So your question around did other
 11 people therefore have to put themselves at risk, yes.
 12 Q. I don't want to revisit the issue about deployment of
 13 the HART team, you've been asked lots of questions about
 14 that, but on the facts of this, there was no way that
 15 two members of the HART team were going to evacuate all
 16 of those who had serious injuries in the City Room?
 17 A. Not physically move them, no, but remembering that when
 18 they went forward, the movement -- well, the movement of
 19 patients was happening as I arrived. That movement of
 20 patients continued to happen and I think the first
 21 makeshift stretcher came out or arrived downstairs at
 22 7 minutes past. That process was already -- so
 23 I allowed it to continue because I thought that it was
 24 working and I completely accept there are very different
 25 views to that now, but on the night, at the time,

237

1 I thought that it was working.
 2 MR JAMIESON: Thank you.
 3 SIR JOHN SAUNDERS: Thank you, Mr Jamieson.
 4 MS ROBERTS: Unprovoked.
 5 SIR JOHN SAUNDERS: Thank you. It's always good to be
 6 unprovoked.
 7 MR GREANEY: Sir, the benefit of sitting to finish the
 8 witness today is that we will have an early finish
 9 tomorrow, I anticipate.
 10 SIR JOHN SAUNDERS: Right.
 11 Thank you very much. You've had a long day and
 12 a lot of questions to answer. You were there on the day
 13 and doing, I'm sure everyone agrees, what you considered
 14 to be the right thing. Whether it was the right thing
 15 is something that I am going to have to look at,
 16 obviously, with some care. But it was a very hard night
 17 for you in a very difficult situation.
 18 Thank you. 9.30 tomorrow.
 19 (5.16 pm)
 20 (The inquiry adjourned until 9.30 am
 21 on Thursday, 27 May 2021)
 22
 23
 24
 25

238

1 I N D E X
 2
 3 MR PATRICK ENNIS (continued)1
 4 Questions from MR ATKINSON1
 5 Questions from MR JAMIESON23
 6 Questions from MS ROBERTS36
 7
 8 MR DANIEL SMITH (sworn)77
 9 Questions from MR GREANEY77
 10 Questions from MR GOZEM191
 11 Questions from MR ATKINSON212
 12 Questions from MR JAMIESON229
 13
 14
 15
 16
 17
 18
 19
 20
 21
 22
 23
 24
 25

239

240