

OPUS2

Manchester Arena Inquiry

Day 140

September 6, 2021

Opus 2 - Official Court Reporters

Phone: +44 (0)20 3008 5900

Email: transcripts@opus2.com

Website: <https://www.opus2.com>

1 Monday, 6 September 2021
2 (9.30 am)
3 SIR JOHN SAUNDERS: Good morning. Welcome back to everyone.
4 I hope you've all had a good break. Give it 24 hours
5 and it'll feel like you've never been away.
6 MS CARTWRIGHT: Could I start at the outset by identifying
7 the gentleman in the witness box as Mr Blezard.
8 SIR JOHN SAUNDERS: Good morning, Mr Blezard.
9 MS CARTWRIGHT: Before he is sworn, can I indicate at the
10 outset, sir, so all core participants are clear, that
11 for good reasons known to the inquiry legal team we will
12 need to take breaks at a period of certainly no more
13 than an hour and it may be that Mr Blezard will request
14 comfort breaks sooner.
15 SIR JOHN SAUNDERS: You just tell us if you need a break.
16 MS CARTWRIGHT: For that reason additionally, Mr Blezard has
17 now provided six witness statements to the inquiry and
18 to ensure maximum evidence and questioning by core
19 participants who have made their bids, we will upload
20 all six of those witness statements, so hopefully that
21 will enable the questioning of CTI to be shortened
22 in the context of the upload of the statements.
23 SIR JOHN SAUNDERS: Obviously I will have read all the
24 statements. Does anyone have a problem with any of
25 that? Okay. Thank you very much.

1

1 MS CARTWRIGHT: Secondly, there is a logistical problem this
2 morning. The live transcript, which we know in
3 particular that certain family members at the family
4 centre use to follow the proceedings, is not working at
5 the moment. We can assure everyone watching as soon as
6 we can get that live transcript back up and running,
7 we will. But in the circumstances, we're going to
8 proceed this morning before having rectified that issue.
9 So apologies for those who will be inconvenienced by
10 that this morning.
11 SIR JOHN SAUNDERS: It makes it even more important that
12 everyone speaks as clearly as they can because I do know
13 that some people in the court look at it when they are
14 not entirely clear what people have said.
15 MS CARTWRIGHT: Thank you. First, can Mr Blezard be sworn,
16 please.
17 MR GERARD BLEZARD (sworn)
18 Questions from MS CARTWRIGHT
19 MS CARTWRIGHT: Could you please tell the inquiry your full
20 name?
21 A. Gerard Anthony Blezard.
22 Q. Thank you. You have provided six witness statements to
23 the inquiry and because of the approach that has just
24 been indicated about the upload of your statements
25 I want to identify each of those statements now and ask

2

1 you to confirm that the contents are true and accurate
2 to the best of your knowledge and belief.
3 Your first witness statement is dated
4 11 December 2019, which is {INQ026738/1}. Are the
5 contents of that detailed witness statement true to the
6 best of your knowledge and belief?
7 A. Yes, they are.
8 Q. Your second witness statement is dated 5 June 2020. Are
9 the contents of that witness statement true to the best
10 of your knowledge and belief?
11 A. Yes.
12 Q. Sir, the INQ for that statement is {INQ032849/1}.
13 You then provided a third witness statement dated
14 18 August 2020. Are the contents of that witness
15 statement true to the best of your knowledge and belief?
16 A. Yes, they are.
17 Q. Sir, the INQ for that statement is {INQ035377/1}.
18 Your fourth witness statement is dated 28 June 2021,
19 {INQ041597/1}. Are the contents of that witness
20 statement true to the best of your knowledge and belief?
21 A. Yes, they are.
22 Q. More recently, in the last month or so, you provided two
23 further witness statements. The fifth witness statement
24 is dated 2 August 2021, {INQ041836/1}. Are the contents
25 of that witness statement true to the best of your

3

1 knowledge and belief?
2 A. Yes, they are.
3 Q. Finally, your sixth witness statement dated
4 2 September 2021, {INQ041990/1}. Are the contents of
5 that witness statement true to the best of your
6 knowledge and belief?
7 A. Yes, they are.
8 Q. Could we start then just by identifying your background
9 with NAWAS but also the predecessor to NAWAS, GMAS. Is it
10 correct that you will have worked for NAWAS and its
11 predecessor for 35 years this November?
12 A. Yes, that's correct.
13 Q. That you started as a care assistant within the Patient
14 Transport Service?
15 A. Yes.
16 Q. Then in 1991, you qualified as a paramedic?
17 A. Yes.
18 Q. In 2000, you moved into operations management and then
19 to the head of service?
20 A. Yes.
21 Q. In February 2016 you became the acting director of
22 operations?
23 A. Yes.
24 Q. And then in September 2016 you became the director of
25 operations for NAWAS?

4

1 A. That's correct.
 2 Q. That's a role in which you're currently continuing to
 3 act?
 4 A. Yes.
 5 Q. In that role are you the accountable emergency officer
 6 for NWAS?
 7 A. I am.
 8 Q. Is it correct also that you are the strategic lead for
 9 JESIP in NWAS?
 10 A. I am, yes.
 11 Q. Thank you. Turning then -- I want to ask some questions
 12 about the JESIP issue that's identified in the witness
 13 statements. Having identified that you were the
 14 strategic lead for JESIP, within your witness statements
 15 you identify that the training cycle for JESIP lapsed in
 16 2017 to 2018. Can you assist us as to why that
 17 happened, please?
 18 A. There was a difficulty in getting all three partner
 19 agencies together to deliver the training. Obviously,
 20 it has to be done as a tri-service element because all
 21 three services need to deliver the training at the same
 22 time to make sure there is consistency in the delivery
 23 of that. NWAS tried very hard to get the two other
 24 partner agencies to deliver the training but
 25 unfortunately we weren't able to do that.

5

1 SIR JOHN SAUNDERS: Can everybody hear all right?
 2 Thank you.
 3 MS CARTWRIGHT: Who would have been receiving that training
 4 who would have fallen under the remit of that JESIP
 5 training that didn't receive it in 2017 and 2018?
 6 A. That would have been for all three emergency services,
 7 so the police, fire and ambulance.
 8 Q. When that wasn't taking place, particularly at a period
 9 of time where plainly JESIP, in the context of attacks
 10 that had happened, terrorist attacks, what efforts were
 11 taken to try and progress to ensure that that training
 12 took place?
 13 A. There was a number of meetings trying to get all --
 14 because obviously we need to do it as a tri-service
 15 delivery of it -- there was changes in personnel within
 16 Greater Manchester Police, I believe, and that's what
 17 was causing the delay there: we'd lost contact with the
 18 lead aid(?) person within GMP. We tried to make several
 19 efforts to get the training back up and running. Once
 20 I think the person was replaced, then we got the
 21 training realigned.
 22 Q. Can I then ask you a specific question, please, about
 23 site-specific plans for the arena. It's been identified
 24 that there wasn't a detailed site-specific plan and when
 25 we come on to look at the learning, I think subsequently

6

1 now there's a form of operational order that's in place.
 2 Can you assist as to why it had not been identified,
 3 particularly with the arena and the function and roles
 4 that it performed, why there was not a need for
 5 a site-specific plan?
 6 A. So NWAS has taken the approach of having a major
 7 incident response plan that was generic enough to
 8 respond to all types of incidents. As you can imagine,
 9 we cover the whole of the north-west, we cover a large
 10 amount of venues. To cover each venue with
 11 a site-specific plan would be very difficult -- we
 12 adopted the approach of having a major incident response
 13 plan for -- that was generic plan that could be
 14 responded to at all arenas or venues. Some of the more
 15 high profile or larger capacity venues, such as football
 16 events, would have site-specific plans, but that would
 17 be because we were providing the medical cover at these
 18 events.
 19 Q. So was the site-specific plan for stadia, football
 20 stadia, because you were providing paramedics?
 21 A. Mostly, but because of that, because we're actually
 22 there providing that care, we would have our plans in
 23 place, but also we were contracted to do that. In terms
 24 of venues such as Manchester Arena and other venues we
 25 did have some generic plans -- there was a plan for, an

7

1 operational plan for the arena, but it wasn't a detailed
 2 one.
 3 Q. Can I ask you then because you've already identified
 4 that the major incident response plan that NWAS had
 5 at the time does identify that stadia could have
 6 a separate site-specific plan. But at any point was
 7 there any consideration for Manchester Arena, bearing in
 8 mind the nature of that site, that that was something
 9 that required a specific plan bearing in mind it was an
 10 arena, it was sat on a car park, and it was fed into by
 11 a major transport hub?
 12 A. We did have a briefing document that told us what are
 13 the entry and exit, the capacity of the event or the
 14 venue was, so we did have a brief plan. For us to cover
 15 all events, we do cover the whole of the north-west
 16 region, so it would be very, very difficult. We've not
 17 got the resources to plan for every single venue.
 18 Q. Can I then touch upon the medical provider at the arena
 19 because from what's contained within the witness
 20 statements it can be seen that there was some work done
 21 subsequent to the attack by way of training to ETUK and
 22 I think in particular in with respect of METHANE; is
 23 that correct?
 24 A. Yes.
 25 Q. So pre-attack, was there any knowledge or liaison with

8

1 ETUK as the arena medical provider?
 2 A. Not with ETUK that I'm aware of. We would be involved
 3 with them via meetings with SMG and meetings at the
 4 venue. We did have some meetings with their predecessor
 5 which were --- AAA, I think they were called.
 6 Q. What was the nature of the meetings with AAA at the
 7 arena?
 8 A. We provided some of the cover at Manchester Evening News
 9 Arena, as it was called at the time, so we would provide
 10 a liaison officer who would work alongside AAA ---
 11 previous to them it would have been St John's Ambulance
 12 Service --- to coordinate resources and incidents that
 13 occurred there.
 14 Q. Why did that ambulance liaison role come to an end?
 15 A. I wasn't directly involved in that so I'd be guessing,
 16 but there was an incident there in 2003, I think it was,
 17 where we were involved with it. From that point on, we
 18 insisted on having ambulance cover there, so we started
 19 to provide a manager or a commander and an ambulance,
 20 but shortly after that, we were no longer requested to
 21 provide that cover.
 22 Q. Can I move then to ask some questions about the major
 23 incident response plan. That major incident response
 24 plan that was in place at the time, it feeds into the
 25 action cards that were in place at the time at NWAS. So

1 I'm just going to display on the screen, rather than
 2 going into the document, the relevant major incident
 3 response plan.
 4 Mr Lopez, please could we display {INQ013132/1}.
 5 Is this the relevant major incident response plan
 6 at the time of the arena attack?
 7 A. It is, yes.
 8 Q. It's right, isn't it, that within that response plan it
 9 identifies the various command structures within NWAS
 10 but also the various functional roles that are supported
 11 by action cards?
 12 A. It does.
 13 Q. And the action cards themselves are a separate document?
 14 A. Yes.
 15 Q. I'm not going to go through the detail of what's
 16 contained within the response plan, but can you assist
 17 in respect of a number of matters that relate to what
 18 we can see in the plan but also in the action cards that
 19 sit alongside it?
 20 We can see from your witness statements that at the
 21 relevant time there was not an action card for the HART
 22 team leader. Can you assist as to why NWAS had not
 23 identified a specific action card for that role?
 24 A. There was a NARU team leader action card that --- I think
 25 was published in 2013 --- and that was within the NARU

1 action card set that was published at that point in
 2 time. They were never updated from 2013, I believe, and
 3 therefore we did not continue to publish that within our
 4 major incident response plan. But there has never
 5 actually been a HART team leader course that I am aware
 6 of. There was in the initial set-up of HART, but then
 7 it's quickly finished, they no longer continued to
 8 deliver that course. But I believe that they are now
 9 looking at reinstating that course.
 10 Q. Can I just explore that a little further? The NARU
 11 action card, I think it is 16, that applied for HART
 12 team leader --- and, sir, I'm not asking for it to be
 13 displayed, that's {INQ019194/1}. Incidentally, that
 14 seems to be an action card from October 2015.
 15 Certainly it seems that the NARU action cards,
 16 broadly speaking, found their way into the NWAS action
 17 cards; would that be a fair analysis?
 18 A. Yes. You're quite right, there was an update in 2015,
 19 I do apologise. There was no updates from that point
 20 on. But we didn't deliver --- we haven't put that into
 21 the major incident response plan because the HART team
 22 leader sits slightly outside of the major incident
 23 response plan. What we have done since then, though, is
 24 we have recognised that this was an omission, we have
 25 delivered the HART team leader action card to all HART

1 team leaders, done some training and exercising on that,
 2 and it is available on all HART vehicles.
 3 Q. And we'll see that when we look at some of the learning
 4 following on the attack that there is now to be a HART
 5 team leader action card as part of NWAS action cards?
 6 A. It is, yes. They've actually been issued independently
 7 to all the HART teams but we're about to revise --- it's
 8 due for a revision, the major incident response plan, so
 9 it will be part of that. But we've put it out as an
 10 addendum to it.
 11 SIR JOHN SAUNDERS: Can you just help me with something
 12 you have just said which relates --- you said the HART
 13 team and their response wasn't part of the major
 14 incident plans.
 15 A. In terms of their actions, their actions and how they
 16 delivered their service, for want of a better word, is
 17 not in the major incident plan in terms of actions.
 18 They are a specialist team that sits slightly outside of
 19 that. They do have their own actions on how they carry
 20 out their duties but it's not within the plan. It does
 21 refer to it.
 22 SIR JOHN SAUNDERS: Because they seem to be very much ---
 23 might be part of a major incident.
 24 A. Yes.
 25 SIR JOHN SAUNDERS: Right, thank you.

1 MS CARTWRIGHT: Can I just understand then, when the action
 2 cards, the relevant action cards at the time of the
 3 arena attack, were collated, was it then a conscious
 4 decision not to include an action card for the HART team
 5 leader?
 6 A. I honestly can't say that. I don't know why it isn't
 7 there. It's before I became responsible for that.
 8 I have tried to find out why it wasn't included there,
 9 but I haven't been able to establish that yet.
 10 Q. Can I then ask a number of other questions about action
 11 cards that were in existence at the time, where you've
 12 identified from your witness statement issues. We know
 13 from evidence that the inquiry has heard already that
 14 a safety officer was not appointed on 22 May 2017.
 15 We can see that there was the action card for the safety
 16 officer but also the description of the role of the
 17 safety officer within the major incident response plan.
 18 You've identified within your witness statements that
 19 at the time of the arena attack, NAWAS did not have
 20 trained safety officers.
 21 A. That's correct, yes.
 22 Q. So can you assist as to when NAWAS have created an action
 23 card for a safety officer and it's a role in particular
 24 that's identified, an important role identified by the
 25 response plan, but also a key individual that the

13

1 operational commander should appoint, how it came about
 2 that NAWAS had not trained safety officers?
 3 A. In respect of all the action cards, certainly from the
 4 operational commander, they would have had specific
 5 training, but in terms of parking, loading, we wouldn't
 6 have delivered a training course for each of them action
 7 cards for the functional roles. What we have learned
 8 going through this process is maybe we need to do that
 9 and highlight the importance of that. So NAWAS now have
 10 a safety officer training course, we've trained 35 of
 11 them, we have actually tested them in real life
 12 incidents since that. We've introduced them and learned
 13 from that, that we actually need to have a greater
 14 number because we cover the whole of the north-west. We
 15 need to have quite a large amount of them because if
 16 there's only two or three on call and the incident is
 17 quite a long distance away, it would take some time for
 18 a safety officer to get there so we are actually
 19 increasing our numbers up to 50 now.
 20 SIR JOHN SAUNDERS: We know on this occasion no safety
 21 officer was appointed, whether they were trained or not
 22 may be slightly irrelevant except for the fact that if
 23 there was specific training for safety officers it might
 24 have been rather more in people's consciousness that you
 25 need one.

14

1 A. Yes, I think that's quite correct. That's why we've
 2 sort of increased the visibility of a safety officer by
 3 doing the courses. But also since the arena incident
 4 each of -- at the mandatory training for the commanders
 5 the functional roles, JESIP and all the key issues are
 6 reiterated at every session.
 7 MS CARTWRIGHT: So can you assist then when training was
 8 delivered on the action cards, how were staff at all
 9 instructed in how they would discharge the role of the
 10 safety officer?
 11 A. In terms of what we do now?
 12 Q. No, at the time.
 13 A. There wouldn't be a specific -- they will follow that
 14 action card and take the appropriate actions. Some of
 15 the roles are rehearsed at the larger sporting events
 16 that we cover, so when we go to a pre-planned event or
 17 sports event we would allocate these roles and people
 18 would be given the action cards and told to prepare to
 19 deliver that function.
 20 But there is an element of rehearsal going through
 21 that -- we simulate that at events and incidents and
 22 training exercises, but on the evening, I'm guessing
 23 that Dan Smith, when he did ask people to carry out the
 24 functional roles, he would just say, please can you
 25 carry out that role. We do know that all commanders do

15

1 carry a copy of them -- they have a small pocket book
 2 that has all of the action cards in their pockets but
 3 obviously on the evening in question they failed to
 4 refer to them.
 5 Q. Would you accept, certainly if you look at the
 6 importance of the safety officer role particularly in
 7 respect of risk assessment, and it can be seen also that
 8 the safety officer is identified as someone that should
 9 liaise also with the HART team leader, that that really
 10 was clearly a role that needed specific training bearing
 11 in mind the importance of a safety officer around risk
 12 assessment in major incidents?
 13 A. Yes, I think we accept that obviously we didn't appoint
 14 that role. It is a key function that needs to make
 15 sure -- it is the safety of the responders but also the
 16 safety of patients and other emergency services. It is
 17 an omission that we have failed to do. We have now put
 18 that right by delivering the training.
 19 SIR JOHN SAUNDERS: Let's relate it to the events of
 20 22 May 2017. One of the issues is whether paramedics,
 21 and if so which paramedics in which category, should
 22 have gone into the City Room. It would have been part
 23 of a safety officer's job to have played a part in
 24 making that decision?
 25 A. I think the safety officer would help to inform the

16

1 operational commander but ultimately it would be the
 2 operational commander's decision.
 3 SIR JOHN SAUNDERS: He would make the decision, but the
 4 safety officer , one of his jobs would be to have input?
 5 A. He would help with a risk assessment and give some
 6 considerations for the commander to take into account.
 7 SIR JOHN SAUNDERS: Thank you.
 8 MS CARTWRIGHT: Is it correct also that it's identified that
 9 the safety officer should also liaise with the safety
 10 officer of other inter-agencies, so with the equivalent
 11 in the police and also in the Fire and Rescue Service?
 12 A. Yes. There should be a joint situational awareness,
 13 a joint understanding of the risk .
 14 Q. So following on from the question the chairman just
 15 asked, that would have been a key individual that could
 16 have been looking at the interoperability between -- to
 17 have an understanding and a joint assessment of risk and
 18 situational awareness?
 19 A. Yes.
 20 Q. And so the fact that there wasn't a safety officer on
 21 22 May 2017, would you accept, was a significant
 22 omission in the functional roles that night?
 23 A. I think it was obviously an omission. I think the fact
 24 of the risk assessment of the City Room was pretty much
 25 predetermined by the JOPs saying that it was a warm

1 zone. So that would assist the commander in making the
 2 right decision. But however, having a dedicated safety
 3 officer would have been of benefit.
 4 Q. We know there wasn't an equipment officer also appointed
 5 on 22 May. When I asked you the questions a moment ago
 6 about the safety officer and training, you went on to
 7 reference other roles that had not had specific training
 8 and you included parking as one of those that had not
 9 had specific training .
 10 A. Yes.
 11 Q. Had there been specific training in NWS before the
 12 arena attack in the equipment officer role?
 13 A. No.
 14 Q. Again, why had that not taken place?
 15 A. I don't really think it needs specific training .
 16 I think in terms of the equipment officer's role ,
 17 it would be -- if you appointed somebody to do that, it
 18 would be to gather the equipment, make sure we've got
 19 the appropriate equipment, consider what other options
 20 are available to us. In terms of a training of that
 21 element, I don't really feel that's necessary but we do
 22 it (overspeaking).
 23 SIR JOHN SAUNDERS: So there are some jobs which the general
 24 training of a paramedic in association with following
 25 the action cards would not require specific training for

1 that function?
 2 A. Yes.
 3 SIR JOHN SAUNDERS: And you say the equipment officer comes
 4 into that category, but the safety officer , you would
 5 accept, required some specific training?
 6 A. Yes, I would do and I think that's born out by --
 7 SIR JOHN SAUNDERS: It's been changed?
 8 A. Yes.
 9 SIR JOHN SAUNDERS: Thank you.
 10 MS CARTWRIGHT: Can I ask a follow-on question then because
 11 you indicate that people should know what the equipment
 12 is and what the resources are. But would you accept
 13 that one of the issues identified by the debrief was
 14 that there was not the appropriate allocation of the
 15 resources of NWS or, equally, requesting the resources
 16 of other partners such as the Fire and Rescue Service
 17 and their specialist response vehicles?
 18 A. I think in terms of not enough ambulance resources,
 19 I think we're quite clear that it was a busy night --
 20 Mondays are always busy for us. In terms of our
 21 operational commitments to a busy night, of the 86
 22 vehicles that were working within the Greater Manchester
 23 area that night, I think there were 77 already committed
 24 on incidents. It does take us some time to release our
 25 resources from other incidents and hospitals to try and

1 get vehicles to scene.
 2 SIR JOHN SAUNDERS: I think we understand about ambulances
 3 in general terms. But special equipment vehicles, we're
 4 talking I think about specialist vehicles and them not
 5 being asked for .
 6 A. In terms of the specialist vehicles , obviously I think
 7 you may be referring to the National Capabilities Mass
 8 Casualty Vehicle. That wasn't requested, it was an
 9 oversight. It would have had some contribution to
 10 the -- or enhanced the response if it had got there in
 11 a timely manner. It does carry additional medical
 12 equipment, but it doesn't carry stretchers and things
 13 like that, it just carries medical equipment and
 14 specialist drugs.
 15 SIR JOHN SAUNDERS: I think we're aware of the limitations
 16 of some of these vehicles; we've probably heard that.
 17 But you would have accepted that on this night it should
 18 have been requested and got to the scene because if it's
 19 not going to be used on that sort of occasion, when is
 20 it going to be used?
 21 A. I think obviously if it is identified very early on --
 22 because these resources take some time to organise and
 23 bring in, but yes, I think if it had been identified
 24 earlier on in the process it would have offered an
 25 enhancement. We have again made some changes to that in

1 terms of our computerised dispatch system will suggest
 2 these types of resources. We have now a PDA so if
 3 there's a major incident declared, there's a long list
 4 of resources that you must send. So we have done that.
 5 We've also delivered additional training to all
 6 commanders on what resources are available.
 7 SIR JOHN SAUNDERS: Thank you.
 8 MS CARTWRIGHT: So can I just check, so there's absolute
 9 clarity : on the National Capabilities Mass Casualty
 10 Vehicle, is it your position that there would have been
 11 no canvas stretchers on that vehicle?
 12 A. At that point in time I don't think there were. There
 13 are now because we've distributed a number of our
 14 stretchers across all our specialist vehicle fleet so
 15 that no matter which resource you call to the scene,
 16 there will be an element of canvas stretchers available.
 17 SIR JOHN SAUNDERS: If there's any doubt about it, if you
 18 could check it for us.
 19 A. I will double-check it, but I'm almost certain there was
 20 none.
 21 MS CARTWRIGHT: We know public support vehicles had canvas
 22 stretchers on them at the time.
 23 A. Yes.
 24 Q. So again in terms of equipment officer knowledge, there
 25 were public support vehicles that were there that had

21

1 been brought to the scene by the HART team but those
 2 canvas stretchers were not taken off those vehicles .
 3 A. The public support vehicle that went to scene was --
 4 it's difficult to describe but it wasn't a public
 5 support vehicle, what it was was a HART vehicle. The
 6 HART vehicle had broken down -- it was called the recce
 7 vehicle -- and we stripped the public support vehicle
 8 and we put the HART equipment into the public support
 9 vehicle as a substitute because of a breakdown. So that
 10 came with -- whilst the vehicle's title is a public
 11 support unit, it actually had HART equipment on it, the
 12 heavy lifting equipment vehicle.
 13 Q. My understanding was that two were brought to the scene,
 14 there was I think Mr English and Mr Priest, when they
 15 left the job in Stockport, went back to the depot and
 16 actually picked up the second vehicle as well. That's
 17 my understanding.
 18 A. It is but it was the -- while it's labelled the public
 19 support unit, the vehicle was carrying -- it was
 20 carrying a HART kit in it which was for the heavy
 21 lifting -- so that included the mass oxygen delivery
 22 system, the cubs for mass casualty treatment of
 23 patients. So I think there's a confusion in terms of
 24 the call sign that was allocated to that vehicle.
 25 SIR JOHN SAUNDERS: "Did it have canvas stretchers on" is

22

1 the question?
 2 A. I don't think so, no.
 3 MS CARTWRIGHT: So would those canvas stretchers then have
 4 been taken off at the depot before they proceeded to the
 5 arena?
 6 A. Yes, the change had already been done on the night of
 7 the evening. The vehicle had broken down previously,
 8 but we'd taken all the public support equipment off and
 9 put the HART equipment on to make do for the short term
 10 while we got the vehicle repaired.
 11 Q. In respect of the mass casualty vehicle can I take you
 12 to one document please just to confirm if it's the
 13 position of NWS also. {INQ019275/34}.
 14 This is the NHS England NARU interoperable
 15 capabilities review into NWS from November of 2017.
 16 In respect of the mass casualty vehicles, we can see
 17 that this document sets out in the third column:
 18 "The national MCV assets based in NWS were not sent
 19 to the Manchester Arena mass casualty incident. Though
 20 the trust coped well with the resources they had at the
 21 scene, there is no doubt that according to the national
 22 specification and expectation the MCVs should have been
 23 mobilised and were not."
 24 So looking at that assessment, does NWS accept that
 25 position?

23

1 A. Yes, I think we should have deployed that vehicle.
 2 Q. And in terms of the action cards that identify
 3 individuals that should have been looking at that
 4 deployment, it's right, isn't it, that it's looked at by
 5 the tactical commander's action card?
 6 A. Yes.
 7 Q. By the EOC manager's action card?
 8 A. Yes.
 9 Q. But also again equipment officer, it would have been
 10 a role for them about the resources at the scene?
 11 A. Yes.
 12 Q. Thank you. That can be taken down, please.
 13 Can I ask then two further questions about
 14 identified learning around the action cards. Are you
 15 okay to continue?
 16 A. Yes.
 17 Q. You've also identified in your witness statement that
 18 for the action card for the strategic medical adviser
 19 that at the time of the arena attack, there were no
 20 rostered strategic medical advisers.
 21 A. That's correct. I think it was an aspiration at that
 22 point in time. There was some changes in contractual
 23 things and we needed to have that in place by
 24 April 2018, so we were building up to having strategic
 25 medical advisers in place.

24

1 Q. So again, having a major incident response plan that
 2 identifies strategic medical adviser and an action card
 3 that identifies that individual's role and the
 4 importance of them advising the strategic commander, why
 5 when that action card and plan was published were staff
 6 not rostered into that role?
 7 A. I think we did fulfil that role on the evening:
 8 David Ratcliffe, who was our medical director at that
 9 time, did fulfil that role.
 10 SIR JOHN SAUNDERS: It was slightly coincidental, wasn't it,
 11 that he was there to fulfil that role? I seem to
 12 remember he went of his own accord.
 13 A. Yes, he wasn't on the on-call.
 14 SIR JOHN SAUNDERS: And he wasn't particularly appointed to
 15 that role but he did it.
 16 A. He self-deployed to the ROCC when some of the actions
 17 were being carried out to command the scene.
 18 MS CARTWRIGHT: Again, what the action plan envisages
 19 is that that medical adviser co-locates with the
 20 strategic commander, not in a separate location at the
 21 ROCC; would that be correct?
 22 A. Yes, he should have gone to the police force HQ.
 23 Q. So had any consideration been given in your role,
 24 particularly around JESIP, of ensuring that there were
 25 the necessary staff rostered on for key roles that were

25

1 identified in the plan and by the action cards?
 2 A. Yes. There was quite a concerted effort to recruit
 3 people into these roles and we were constantly trying to
 4 recruit -- there's a specific number, I can't remember
 5 what the number was that we needed to achieve, but we
 6 couldn't actually get to that. It's very difficult for
 7 us to recruit people into these specific roles.
 8 Q. Can I ask then a question around the EOC officer because
 9 we can see from the action plan and from the response
 10 plan as well that at the time there was just one action
 11 card for a EOC officer and we'll come to look at the
 12 fact that now there are, I think, four action cards for
 13 various EOC staff. So had there been any identification
 14 pre-attack that there needed to be more functional roles
 15 identified for EOC staff to manage incidents?
 16 A. Not that I'm aware of. We do know that the vast
 17 majority of the actions on the EOC action card were
 18 completed. I think about 90% of them were completed.
 19 We did understand following the incident the -- there
 20 was quite a significant amount of work being pushed to
 21 one individual so we did recognise the fact that we
 22 needed to take away some of the roles and
 23 responsibilities and share that amongst a wider team, so
 24 I think you're right, I think there's either three or
 25 four action cards for EOC now to split out the actions

26

1 to make sure that all of them are carried out.
 2 Q. You've indicated that the majority of the actions for
 3 the EOC officer were completed. But I think -- would
 4 you accept that two significant things that weren't done
 5 by the EOC officer that are identified by the action
 6 card was the sharing of METHANE messages with partners?
 7 A. There were attempts -- I do know that we tried to call
 8 the force duty officer for GMP within a minute of the
 9 incident. We also did speak with North West Fire
 10 Control. However, I don't think the information in
 11 terms was passed in a METHANE format.
 12 Q. Is it also accepted that the EOC officer also had a role
 13 to communicate the declaration of the major incident and
 14 that that didn't take place on the night?
 15 A. Yes, I do accept that.
 16 Q. Those are quite significant parts of the task of the EOC
 17 officer that were not completed on the night that would
 18 have aided interoperability?
 19 A. Obviously the declaration of the major incident would
 20 have gained the attention of the other services without
 21 a doubt, yes.
 22 Q. In terms of the declaration of a major incident, it's
 23 correct, isn't it, that once a major incident is
 24 declared, NNAS as a statutory NHS service is then
 25 responsible for the management of the NHS response to

27

1 the incident?
 2 A. Yes.
 3 Q. It's also correct, isn't it, that NNAS are the statutory
 4 body that retains the lead responsibility for the
 5 management of casualties at the incident?
 6 A. Yes.
 7 Q. So can I come on now to ask you some questions, please,
 8 about command and issues of the command structure on the
 9 night that have been identified by the debrief but also
 10 by the learning and changes subsequently.
 11 SIR JOHN SAUNDERS: Are we leaving action cards?
 12 MS CARTWRIGHT: I was going to, yes, sir.
 13 SIR JOHN SAUNDERS: I just wanted to clarify something.
 14 This comes from your first statement. I just want to
 15 know how the situation changed after this in relation to
 16 action cards. As I understand it, on the night the
 17 action cards can be found attached to the major incident
 18 plan.
 19 A. Yes.
 20 SIR JOHN SAUNDERS: But also there was a pocket book, as it
 21 were, of action plans?
 22 A. Yes.
 23 SIR JOHN SAUNDERS: Which is in reality what people would
 24 have at the scene to refer to because you can't take the
 25 major incident plan around with you.

28

1 A. Yes, that's correct.

2 SIR JOHN SAUNDERS: I understand that was then abandoned,
3 having that pocket book, from looking at your statement.

4 A. It was, yes. Over the last few years we have seen quite
5 a lot of revisions of major incident plans and action
6 cards. One of the things that we have realised is that
7 when we come across a particular issue that needs
8 addressing we tend to just bolt other bullet point on
9 the end of it, so if you've got 27 actions we just put
10 another one, 28 actions. My personal view, and this is
11 what I've asked our resilience team to look at, is how
12 we develop action plans in a different way where we have
13 principles and considerations rather than having
14 a number of bullet points.

15 Traditionally, people would go from bullet point 1
16 to 27, so you get to 27 and you're not completing —
17 well, actually, some of these are done out of order, not
18 always done in that sequence, some of them aren't done
19 at all because... We need to write them in a more
20 usable format, I think, and that's what we're looking
21 at. It's not something that NAWAS can do independently,
22 I think it's NAWAS — we follow national guidance in
23 terms of our all major incident response plans are
24 broadly in line with NARU and national guidance but
25 we are of a view that we can't just continually keep

29

1 adding on and adding on actions, because if we are not
2 completing them in the first place then just adding
3 another action is not the right approach to that.

4 SIR JOHN SAUNDERS: Okay. Are they not added on to the
5 major incident plan?

6 A. Sorry?

7 SIR JOHN SAUNDERS: These —

8 A. Yes, they are, but what we're doing is if we... I'm
9 trying to think of an example. If we find a particular
10 issue and rather than addressing it as a whole, just
11 stick another bullet point on the end of an action card
12 and put it the plan, that may not necessarily be the
13 best way of dealing with it.

14 SIR JOHN SAUNDERS: So as I understand it now, instead of
15 having these pocket action cards which everybody had,
16 there are now NARU cards which are in the ambulance?

17 A. We have — every vehicle has a set of major incident
18 plan action cards, every single vehicle has them on
19 them, so when we update them we update them for the
20 vehicle so everyone has access to them.

21 The NARU action cards that were last published in
22 2015, I am not aware that they have ever been updated
23 since then. So all of the additions to our action cards
24 are from our own experiences or what we shared with
25 other ambulance services.

30

1 SIR JOHN SAUNDERS: But they are your action cards but they
2 are now put in the ambulances rather than being given to
3 everybody? Is that the difference?

4 A. Yes. There's a copy on every vehicle. Also we have
5 electronic devices on vehicles now so they can
6 electronically access them.

7 We have the JESIP app is on everybody's — all the
8 vehicles have the JESIP app on them so they can refer to
9 it. So we're delivering it in different ways.

10 SIR JOHN SAUNDERS: I well understand the reason for action
11 cards, I just wonder: does it work in practice? Do you
12 really have to sit there going through your 28 actions
13 to do? And can people really do that standing at the
14 scene of a major emergency going, "We need to do this,
15 we need to do that, we need to appoint a safety
16 officer", is that what they really do?

17 A. Well, some of them did do and some of the tactical
18 commanders who had the time and space to do that did go
19 through the action cards. Some of the commanders did
20 make a very quick reference to them and that's why
21 I think we need to move to principles and guidelines
22 rather than a checklist.

23 SIR JOHN SAUNDERS: So move to someone making an assessment
24 of what is needed on this particular occasion and going
25 for that? Of course there's then the danger that people

31

1 forget things. No doubt the safety officer was
2 forgotten on this particular occasion despite the fact
3 that it's on the action cards. I just wonder what is
4 the right solution to make the most effective saving of
5 lives.

6 A. Some of the things we are doing is we have — the
7 control room now has the ability that it will suggest
8 resource types and vehicles and roles to people. The use
9 of information and technology is one way of going
10 forward with that.

11 SIR JOHN SAUNDERS: Right. The people who actually have the
12 time — okay, the operational commander at the scene can
13 actually see what's going on. He knows best, he or she,
14 what is happening. But the person who actually has or
15 the people who have the time to actually look through
16 the actions, consider the actions and have more time to
17 do that are the strategic commander and the tactical
18 commander who are away from the scene. And then they
19 could communicate with the operational ones and say,
20 "Have you thought of this, have you thought of that?"
21 Is that done? I don't think it was done on the night.

22 A. It wasn't done on the night. One of the — there's a
23 couple of things that we are doing to assist that. On
24 the night, the tactical adviser can offer assistance to
25 the tactical commander, "Have you considered X, Y or Z?"

32

1 --

2 SIR JOHN SAUNDERS: The operational commander?

3 A. The tactical commander normally situates -- the tactical

4 adviser situates themselves with the --

5 SIR JOHN SAUNDERS: The tactical adviser?

6 A. What we are looking at doing is we are trying to

7 increase our number of tactical advisers so we've got

8 enough to have one to act as a NILO to communicate with

9 other services, one to act as tactical adviser to the

10 tactical commander, but one to be deployed to scene to

11 assist the commander in the tactical options or

12 operational options and resources available to them. So

13 that's something that we're aspiring to. We've already

14 increased the numbers but we need to get to a critical

15 mass of numbers so we can permanently have three on call

16 at any one time.

17 SIR JOHN SAUNDERS: So is it accepted by NWSA in principle

18 that the idea of the operational commander, when an

19 actual major incident is taking place, going through

20 a series of action cards is really impractical?

21 A. I think in the initial response phase probably, yes.

22 There is a lot of information being given to the

23 commander of actions they need to ensure are carried

24 out. Mentally they will have a rough idea of what they

25 need to do, but the actions of getting a card out and

33

1 just double-checking sometimes gets overlooked because

2 of the amount of information and actions that they need

3 to carry out.

4 SIR JOHN SAUNDERS: Absolutely. Okay, thank you.

5 MS CARTWRIGHT: Can I ask you then about the command

6 structure. It's clear from the plan that the structure

7 in place at NWSA at the time was structured in a way so

8 it was the strategic, the tactical and the operational

9 commander. And certainly in terms of the on-scene

10 command, it's right, isn't it, that the operational

11 commander is really a key commander and an important

12 commander?

13 A. Yes. Very much so, the most important commander really.

14 Q. Can I ask then, can you assist us, we know that NWSA did

15 have an on-call system for the operational commanders

16 and we know that on call that night was Derek Poland and

17 Matthew Calderbank.

18 A. Yes.

19 Q. Is it also correct when you look at the plans but also

20 the various policies about deployment that NWSA

21 structures worked on the theory that if there's an

22 incident, the first port of call should be for the

23 operational commander to have come from someone that was

24 on call?

25 A. They'd be the first people you'd notify because

34

1 obviously they're the ones that you know are going to be

2 available. They may not necessarily be the operational

3 commander. If someone else who gets there who's

4 suitably trained and qualified to deal with it gets

5 there earlier, they could take command of the incident.

6 Q. So can I ask you, you mentioned about if someone that's

7 suitably trained gets there earlier they could then be

8 the operational commander. We know that Dan Smith was

9 the operational commander, he deployed to the scene

10 having had a conversation with Annemarie Rooney.

11 If we look at the timings of the arrival, Dan Smith,

12 from the interrogation of the ambulance, arrived at

13 22.58.58 and Derek Poland arrived 2 seconds later. So

14 broadly speaking, they both arrived on scene at the same

15 time.

16 Dan Smith wasn't an operational commander at the

17 time, was he?

18 A. Not at that point, no.

19 Q. And is it right also that Derek Poland also had

20 additional extra training because he was part of the AIT

21 uplift, the specific individuals that deal with MTFA

22 response?

23 A. Yes. An AIT role, though, doesn't necessarily impact on

24 you being an operational commander.

25 Q. No, no.

35

1 A. Okay.

2 Q. But in terms of Derek Poland being the on-call

3 operational commander, arriving at the scene at the same

4 time, broadly speaking, as Daniel Smith, can you assist

5 as to what analysis there has been at NWSA as to why it

6 was that the operational commander role then went to

7 someone that wasn't on call but equally wasn't an

8 operational commander at the time?

9 A. In terms -- within our roles, our deployment plan,

10 tactical commanders can act down to operational

11 commanders. That's quite -- that's written within our

12 plan. Mr Smith had previously been an operational

13 commander. I think his training pre-dated the NARU

14 courses though, so they may not show up as the NARU

15 operational command course. He would have been

16 competent as a commander. He would have commanded

17 pre-planned events, sporting events, things like that,

18 so he would have a wealth of experience of things like

19 that so I don't see that as being a particular problem.

20 Q. Can I ask you just to assist a little further then when

21 you have the operational commander who's on call at the

22 scene at the same time. Can I take you to NWSA's

23 incident deployment guidance, please. {INQ023556/15}.

24 If we look at paragraph 2.5.3 of the policy that was

25 in place at the time of the attack, from February 2017,

36

1 that sets out:
 2 "Out of hours, the operational commanders on call
 3 should be reserved wherever possible for incidents which
 4 require their specific level of skill and experience."
 5 Just pausing there, there's no dispute that
 6 Derek Poland had the necessary skill and experience to
 7 discharge the function of the operational commander?
 8 A. Yes, that's correct.
 9 Q. "Those managers already on duty should be considered
 10 first for deployment to avoid conflicts with duties the
 11 following day."
 12 So again, if we don't just look at this guidance but
 13 also the plan, looking at those documents, on the face
 14 of what NWS set out for staff on duty and on call, and
 15 with the relevant training, should it not have been that
 16 Derek Poland was the operational commander at scene?
 17 A. No, not necessarily. I understand the point that he was
 18 reserved for operational command, but the on-call
 19 managers don't just deal with major incidents, they deal
 20 with a whole host of other types of incidents or staff
 21 issues and things like that. I think it was fortunate
 22 that Dan did volunteer and responded, which only added
 23 to the response because it was an additional commander
 24 that we had on scene. But I don't have any issues with
 25 Dan taking command and Derek becoming the parking

1 officer. I don't think that's an issue.
 2 SIR JOHN SAUNDERS: Within the police we've been told it's
 3 role, not rank. Here, it does seem to have been rank,
 4 not role. I know you're saying he has been an
 5 operational commander, therefore he would have been
 6 perfectly capable of doing it. Actually, if you're
 7 looking at suitable roles, if you looked at it
 8 completely logically, you might think that Derek Poland
 9 being the operational commander and actually Dan Smith
 10 helping as a tactical adviser, which was something that
 11 was distinctly lacking at the scene.
 12 A. But Dan Smith wasn't trained as a tactical adviser, he
 13 was trained as a tactical commander. There is a
 14 difference.
 15 SIR JOHN SAUNDERS: He wouldn't be able to be a tactical
 16 adviser because of his training as a tactical commander?
 17 A. No, it's a different function.
 18 SIR JOHN SAUNDERS: Right, thank you.
 19 MS CARTWRIGHT: If we look at what is accepted did not take
 20 place on the night by way of JESIP failures, Dan Smith
 21 did not identify a forward command point -- post.
 22 A. That's correct, but in the JOPs at that time it was the
 23 responsibility of the police force.
 24 Q. It may be the responsibility of the police force, but
 25 when it's clear from JOPs that there needs to be this

1 location where there is co-location of the three
 2 services, or however many services are involved, the
 3 fact that Dan Smith has not looked to identify where
 4 that forward command point -- was a significant
 5 omission, would you accept?
 6 A. I -- yeah, I openly admit that he didn't consider the
 7 position of a forward command post. I think he actually
 8 positioned them in the ideal point for the forward
 9 command post, but yes, I think he said that in his oral
 10 evidence, that he neglected to do that.
 11 Q. You'll have seen that the ambulance experts commented on
 12 the fact that he positioned himself outside the station
 13 does not stand in lieu of appointing or an allocation of
 14 a forward command point and that's just what did not
 15 take place on the night.
 16 A. No, it didn't.
 17 Q. And during all of the time when Daniel Smith was the
 18 operational commander there was not any form of JESIP
 19 huddle?
 20 A. No.
 21 Q. That only occurred when Stephen Hynes took over as
 22 operational commander?
 23 A. Yes, that's correct.
 24 Q. And again in terms of what's required for an operational
 25 commander responding to a major incident, JESIP huddles

1 are key to a joint assessment of risk and a situational
 2 awareness?
 3 A. Yes, that's correct, yes.
 4 Q. In terms of then also allocation of resources, when one
 5 looks at the role of the HART team, it's right, isn't
 6 it, that the HART team were the specialist resource that
 7 had the ability to operate within a warm zone --
 8 A. Yes.
 9 Q. -- in a Plato incident? And again, the role of the
 10 operational commander is essentially to liaise with the
 11 HART team leader to ensure the appropriate allocation of
 12 NWS staff to respond to an incident?
 13 A. Yes, that's correct.
 14 Q. So would you also accept that the fact that Daniel Smith
 15 did not command the HART team that were present to go
 16 into the City Room where they could operate as
 17 a specialist trained resource with the relevant PPE was
 18 again a significant omission?
 19 A. I think on the initial -- obviously the HART team
 20 arrived in two halves. The first element where they
 21 deployed two operatives into the City Room, I think
 22 Dan Smith was involved in that discussion with Simon.
 23 But the second half, when the second half of the team
 24 arrived, it's a little unclear whether he was involved
 25 in that decision.

1 Q. I suppose it's more than the second half. We know that
2 Mr Hargreaves arrived with Mr Beswick, who was acting as
3 the HART team leader that night. Mr Beswick didn't go
4 into the City Room.

5 A. Yes. I think there's a decision — a range of options
6 for Si Beswick to take at that point in time. Obviously
7 to deploy some operatives in the City Room was the right
8 decision. Obviously, the second half were due to arrive
9 shortly after. He would need to brief them and make
10 decisions on how they were deployed and there were a
11 range of things he could have done. He could have
12 deployed more operatives into the City Room, he could
13 have asked them to set up the CCS, he may want to keep
14 them in reserve as a rescue team, because HART quite
15 often practice where they don't always deploy all the
16 team, they keep an element in reserve to rescue
17 operatives.

18 SIR JOHN SAUNDERS: I've heard and we've all heard, as I am
19 sure you know, a lot of evidence of police officers,
20 unarmed police officers, desperately trying to treat
21 people who were in an appalling, desperate state, and
22 needed expert assistance and they were crying out for
23 paramedics. And you have there, downstairs, a number of
24 HART operatives, trained to operate and equipped to
25 operate in a warm zone and they were not all got up

41

1 there as soon as possible. Do NWS not accept that
2 actually they should have been got up there, with the
3 benefit of hindsight?

4 A. I think what we now know is that if we'd deployed the
5 second half of the HART team up there, Chris Hargreaves
6 and Lea Vaughan would have been completing the final
7 triage of the patients. So in terms of triaging of the
8 patients, with what we now know, that would have offered
9 a great deal of enhancement. Obviously we didn't know
10 that at the time of the deployment.

11 When we kept them down and set up the CCS, there
12 were some key functions that they did that normal staff
13 wouldn't be able to do. So the mass oxygen delivery
14 system is quite a sophisticated piece of kit that
15 delivers oxygen to up to 48 patients at a time. It's
16 only carried in HART vehicles, so they had to get that
17 vehicle into position, deploy the kit, and set up what
18 are called cubes: these are bags that fold out with lots
19 of kit for helping mass casualty incidents.

20 SIR JOHN SAUNDERS: And do ordinary paramedics don't know
21 how to set that out?

22 A. They certainly wouldn't know about the mass oxygen.
23 It's quite a sophisticated piece of kit and it is quite
24 a large piece of kit. The cubes, there are various ones
25 so there is green and red, depending on what the

42

1 scenario is. Normal paramedics wouldn't know about what
2 they are for or where they are located on the vehicles.

3 We do have some staff and AIT staff who could have
4 assisted with that, but at that point in time there was
5 only one AIT member of staff at scene and they were
6 actively employed in giving life-saving treatment to
7 a patient at that point in time.

8 But I take the point, from a public perspective you
9 would expect, public confidence, to see that room with
10 as many HART operatives as you can do, but there was
11 a range of decisions for Si to make in real time.
12 He was making decisions, not in retrospect.

13 SIR JOHN SAUNDERS: I'm saying this with the benefit of
14 hindsight.

15 A. I think deploying there may have been one of the options
16 (inaudible: distorted) top of that list.

17 SIR JOHN SAUNDERS: Okay.

18 MS CARTWRIGHT: Sir, we've been going an hour. Could we
19 take a short break, please?

20 SIR JOHN SAUNDERS: Okay, we'll have a 10-minute break.
21 Is that enough for you?

22 A. Yes, thank you.

23 SIR JOHN SAUNDERS: Are we going to have a coffee break, in
24 which case we need 15 minutes? We'll have a quarter of
25 an hour. Thank you.

43

1 (10.30 am)

2 (A short break)

3 (10.50 am)

4 MS CARTWRIGHT: Mr Blezard, I'm going to continue the
5 questions around the deployment of the HART team or
6 non-deployment of the HART team into the City Room.
7 You have provided with your sixth witness statement
8 a timeline that uses an analysis from 23.22. Could
9 I ask, please, to be displayed, Mr Lopez, {INQ041991/1}.

10 I hope that's the correct reference.

11 Can I ask, first of all, did you undertake the work
12 that led to the creation of this document?

13 A. I didn't personally oversee it, but I do agree with the
14 contents.

15 Q. Can I ask then, because we can see that what has been
16 created is a timeline from HART's arrival at 23.22, and
17 what's sought then to be identified is the number of
18 patients that remained in the City Room at that time.

19 But can I ask, first of all, why that time of 23.22,
20 bearing in mind that's the last time a member of the
21 HART team arrived, was used rather than performing the
22 analysis at the different times when the HART team
23 arrived?

24 A. I think obviously that's when the second HART team, the
25 second part of the HART team arrived, and it was to show

44

1 the shifting balance of patients who were in the
 2 City Room to the CCS. But shortly after, within a
 3 couple of minutes of the HART team arriving, the balance
 4 of patients had shifted into the CCS, where obviously
 5 the biggest focus of patients would be and the
 6 concentration. That's the time that's been chosen for
 7 that reason.

8 Q. But can I ask, though, again in terms of statistics and
 9 analysis of what it shows and what it supports,
 10 certainly if you look at the fact that Mr Beswick was on
 11 scene at 23.07.26 and then Ian Devine, another member of
 12 the HART team, arrived at 23.14.52, so the time around
 13 shortly after 23.14 was given and it was identified that
 14 another pair to perform a triage sieve had been
 15 dispatched into the City Room, and again the casualty
 16 numbers would look very different, wouldn't they, there
 17 would be far more patients in the City Room at that
 18 time?

19 A. Yes, there would be more patients in the City Room, yes.

20 Q. So again, that analysis would show that another pair of
 21 HART paramedics operating in the City Room performing
 22 the triage sieve would present different statistics to
 23 those using the backstop time of the last time a member
 24 of a HART team arrived?

25 A. I'm not really sure what you mean by that, sorry.

45

1 Q. Well, it seems that this analysis has been performed to
 2 suggest or limit the role that HART could have played in
 3 the City Room.

4 A. Yes.

5 Q. Is that the purpose of the creation of this document?

6 A. Yes, I think it's for — Si Beswick was making the
 7 real time decisions of where to deploy his staff and
 8 obviously I wasn't there, I haven't spoken to
 9 Si Beswick —

10 SIR JOHN SAUNDERS: I think all that's being suggested to
 11 you is if you actually took when the second pair were
 12 there who could have gone into there, it wouldn't look
 13 like this and it would look rather different?

14 A. It would have done, yes.

15 MS CARTWRIGHT: So we can take that down without looking
 16 at the analysis around priority 1 and priority 2.
 17 Certainly in terms of those that were in the City Room,
 18 have you viewed any of the footage from the City Room
 19 at the time when the first pair of HART paramedics were
 20 deployed into the room?

21 A. I have done, yes.

22 Q. So if we look at what was in the major incident response
 23 plan, please, {INQ013132/40}. I'm afraid I don't have
 24 a page number, Mr Lopez. It's paragraph 9.1 within
 25 that. I do apologise.

46

1 We can see under "Treatment at the scene" the
 2 response plan makes clear:

3 "Within the inner cordon treatment is aimed at
 4 preventing further deterioration of life —threatening
 5 injuries ."

6 Then Mr Lopez, if we could move forward, please,
 7 another two pages to 9.5.2 {INQ013132/42}:
 8 "The plan makes clear that the purpose of a HART
 9 response is to provide life —saving medical care within
 10 the inner cordon at a range of emergency incidents."

11 So in terms of the specific team that could operate
 12 within a warm zone, if that's what it was at that time,
 13 there was a real need for HART to be there to provide
 14 that life —saving immediate treatment that's needed as
 15 part of a triage sieve?

16 A. Yes. One of the main purposes of HART is to triage,
 17 also to apply CAT tourniquets, arrest major haemorrhage
 18 and basic airway manoeuvres.

19 Q. And, if needed, apply splints?

20 A. Not necessarily splint. I wouldn't say that was
 21 a life —saving intervention. It's more of the basics
 22 which is arrest any haemorrhage, to stop the patients
 23 from deteriorating, and make sure they've got an
 24 appropriate airway so the patient is breathing. In
 25 terms of — further treatment wouldn't necessarily be

47

1 carried out in that situation.

2 Q. So just looking at what the plan envisaged and having an
 3 area within the arena where there were patients with
 4 injuries that were life threatening, eg catastrophic
 5 bleed, whether you need hindsight or otherwise, would
 6 you not accept that there was a clear need for the
 7 HART team, as they arrived, to be deployed into that
 8 City Room?

9 A. Yes. You know, obviously the initial team was sent up
 10 there. As more operatives arrived that was a decision
 11 that could have been made to deploy more into the
 12 City Room to assist, yes.

13 SIR JOHN SAUNDERS: I think it's being suggested it goes
 14 a bit further than "could" and, with the benefit of
 15 hindsight, the answer should have been "should".

16 A. I think, though, if we'd deployed more into there then
 17 we may have found difficulties with setting up of the
 18 CCS in terms of the some of the specialist equipment.

19 SIR JOHN SAUNDERS: Okay. It's odd that on 9.5.2 it says
 20 nothing about the HART team's — part of its
 21 responsibility is setting up their own specialist
 22 equipment as soon as possible as they arrive. It
 23 actually says/suggests to get them into the inner
 24 cordon.

25 A. Yes. I don't dispute we could have deployed more in

48

1 there, yes.
 2 SIR JOHN SAUNDERS: Can I also make clear at this stage that
 3 we are dealing with it and there is no reason why you
 4 shouldn't deal with it, and I am not asking you to deal
 5 with it in any other way, on the basis that at the time,
 6 after the armed officers had gone through the scene,
 7 that we were dealing with a warm zone, there will be
 8 evidence before the inquiry, whether accepted or not,
 9 that actually it should have been correctly said to have
 10 been a cold zone after it had been cleared by armed
 11 police and armed police were there protecting it. But
 12 it's not for you to comment on that. I just make it
 13 clear at this stage that we have throughout the inquiry
 14 talked about it as being a warm zone at that stage,
 15 whereas some of the evidence would suggest it might not
 16 be.
 17 MS CARTWRIGHT: That's the point I am going to come on to
 18 again in respect of what the operational commander
 19 didn't do. We know that from a very early stage there
 20 are non-specialist Greater Manchester Police staff
 21 operating within that City Room, there are
 22 non-specialist British Transport Police, there are
 23 members of the public, there are travel safety officers,
 24 and many others that are operating freely within that
 25 City Room. So would you accept that it was significant

1 that there was not a joint assessment of risk because,
 2 had that taken place, it may well have been that not
 3 just HART operatives should have been deployed urgently
 4 into the City Room but also the arriving
 5 ambulances/paramedics if it was not a warm zone and was
 6 a cold zone where the ambulance staff arriving could be
 7 deployed rapidly?
 8 A. I agree that there should have been a joint risk
 9 assessment to decide what was the appropriate zoning.
 10 I don't think having a large mass of paramedics
 11 operating in the City Room would be the right decision.
 12 I think there is information, whether there's secondary
 13 devices or the primary device had fully exploded or not,
 14 we don't know --
 15 SIR JOHN SAUNDERS: I'm really sorry to stop you. This is
 16 on the presumption that it is a cold zone. We all know
 17 that there may be unexploded devices. Are you saying
 18 that the paramedics would not go in there even if it was
 19 a cold zone?
 20 A. If it's a cold zone we can deploy paramedics there. Is
 21 it an appropriate assessment because of the debris, the
 22 contamination and other things? Is it an appropriate
 23 setting for treating patients? Some of the procedures
 24 that we would carry out need to be clinically sterile,
 25 so laying out kit in literally a bomb site may not

1 necessarily be the best place to do that because you
 2 need to --
 3 SIR JOHN SAUNDERS: No, no, I think we all understand that.
 4 But there are basic things that could be done as
 5 immediate life-saving activities --
 6 A. Yes.
 7 SIR JOHN SAUNDERS: -- which -- the reality will always be
 8 that paramedics are better at dealing with than ordinary
 9 members of the public. I'm sure you'd accept that if
 10 you could get paramedics in there to provide that sort
 11 of equipment, one would?
 12 A. I think so, yes. Yes, I think in certain scenarios you
 13 may deploy paramedics into areas that were warm and now
 14 cold or whatever. For this particular scenario, I think
 15 there are some added difficulties of the debris and
 16 things like that on the floor. But in general, yes.
 17 SIR JOHN SAUNDERS: Thank you.
 18 MS CARTWRIGHT: So as the statutory body that had the lead
 19 responsibility for management of patients at the scene,
 20 it's right, isn't it, even before extricating or
 21 evacuating a patient, in the ordinary course of events
 22 there should be an assessment that injuries are stable
 23 so actually the act of moving a patient is not making
 24 the situation worse for that patient?
 25 A. Yes, I think the opportunities within the City Room were

1 to stay by patients as best as possible and then
 2 obviously extricate them to a place where you can
 3 deliver more definitive care. Yes, they should be as
 4 stable as possible.
 5 Q. Certainly from the time when we know the pair of HART
 6 paramedics went into the City Room and the single
 7 advanced paramedic, Mr Ennis, because of the number of
 8 casualties present, it was just not physically possible
 9 for them to have performed a triage on every person that
 10 was in that room, was it?
 11 A. No, I don't believe they did triage every individual in
 12 there. I think they got the vast majority of them, but
 13 they didn't do all of them. I think some patients were
 14 taken away or taken down to the City Room -- to the CCS
 15 prior to being triaged.
 16 Q. Can I then, please, just deal with another graph that
 17 has been provided with your sixth witness statement.
 18 It's {INQ041992/1}, please.
 19 Again can I just ask, did you perform the analysis
 20 to create this document?
 21 A. I didn't, no, but I do agree it's factual.
 22 Q. In terms of the numbers that we see, just so we are
 23 clear, that is ambulances that were at the arena itself
 24 rather than ambulances that were at the rendezvous point
 25 at Thompson Street Fire Station?

1 A. My understanding is it's at Hunts Bank.
 2 Q. And it does not include other forms of rapid response
 3 vehicles or other paramedic employees that have arrived?
 4 A. Yes, I believe it's all patient-carrying vehicles.
 5 Q. One of the issues of extrication, and we'll come on to
 6 look at these figures in a minute, is the fact that
 7 there was not, in accordance with METHANE and the E of
 8 METHANE identifying other services present, utilisation
 9 of the specialist resources of the Fire and Rescue
 10 Service or an identification that they weren't there
 11 assisting. So has any of the work that's been done by
 12 NWS identified why none of those present at the arena
 13 were not calling for either the SRT or the TRU to assist
 14 bearing in mind the joint working that had taken place
 15 between the HART teams and those specialist teams,
 16 specifically around evacuation/extrication?
 17 A. In terms of identifying why it didn't happen there's not
 18 a specific piece of work done on that, but what we have
 19 done is tried to ensure that commanders are aware of
 20 specialist resources from the Fire Service. Obviously
 21 you're aware the tri-service video has been produced,
 22 that's been shared out to all our operational staff so
 23 they're aware of what is available. We've been doing
 24 a lot of work with GMFRS and GMP in terms of JESIP
 25 training and some of the AITC type training of recent.

53

1 So the awareness is greater, so we hope that that will
 2 have filled that gap.
 3 SIR JOHN SAUNDERS: Are you able to tell me from this
 4 graph -- we can see how many at a particular scene at
 5 a time. When does the first ambulance leave?
 6 A. I think the first crew leave, but they don't leave from
 7 Hunts Bank, they leave from Trinity Way, around about
 8 23.15.
 9 SIR JOHN SAUNDERS: Let's forget about them, let's talk
 10 about the Hunts Bank one. It looks like from these
 11 figures, it's difficult to say because people can be
 12 coming and going...
 13 MS CARTWRIGHT: Sir, my interpretation is that A344 that was
 14 crewed by Yates and Littler is not included in the five
 15 for the 23.10. So that would have been --
 16 SIR JOHN SAUNDERS: Okay. Of the ones at Hunts Bank which
 17 are lined up there ready to go, when does the first one
 18 leave? Have you any idea?
 19 A. Well, I'm only going off the graph. We can find that
 20 information specifically for you, but I would imagine
 21 between 23.40 and 23.50.
 22 SIR JOHN SAUNDERS: Well, that may be right or it may be
 23 wrong depending on whether people come and go.
 24 MS ROBERTS: I think if we refer to the CCS map and key,
 25 which is {INQ041267} --

54

1 SIR JOHN SAUNDERS: Just tell us the answer.
 2 MS ROBERTS: 23.42.
 3 SIR JOHN SAUNDERS: What may have struck people just looking
 4 at the ambulances, generally getting people to the
 5 hospital plan, getting them to the right place, seems to
 6 work really well. Obviously, the idea is to get people
 7 away, out of the building to hospital, to get the best
 8 possible treatment as quickly as possible provided
 9 they're stabilised to go.
 10 A. Yes, to a certain degree, but you wouldn't want to take
 11 everybody all to hospital. You have got to make sure
 12 the hospital is prepared, patients are going to be right
 13 hospital --
 14 SIR JOHN SAUNDERS: Okay. I understand that, sorry. The
 15 point I'm coming to is what we were told is one of the
 16 problems getting people away first is because the first
 17 19 ambulances who are there, the crews all come out to
 18 help at the casualty station, so they are not then
 19 available to drive ambulances away to the hospital. And
 20 it just -- is there not a way, is it beyond the wit of
 21 man to have some way whereby those first ambulances
 22 could be used, and if necessary other people used as
 23 drivers, or just some way of getting people away
 24 quicker? Is this something you have looked at?
 25 A. It is something that we've looked at in terms of if we

55

1 had more available resource at that time that we would
 2 have been able to evacuate patients or transport them to
 3 hospital quicker. But the transport phase is the last
 4 element of the acronym CSCATT that we apply. Some of
 5 that is about when we are stabilising patients in the
 6 CCS, it's about making sure that they are ready, it's an
 7 awful term, but packaged and ready to go. Just because
 8 they're there, taking them straightaway may not
 9 necessarily be the best thing for the individuals: they
 10 may need some specific treatment that we can give, pain
 11 relief, drug therapy --
 12 SIR JOHN SAUNDERS: Sorry to cut across you, I understand
 13 all that, but one of the factors we've been told about
 14 as to why people couldn't be got away quicker was
 15 because they didn't have the people to man the
 16 ambulances because they were on the -- so can that be
 17 solved, that particular issue, in some way? Can other
 18 people be used to drive ambulances?
 19 A. We have used -- in the past we've utilised police to
 20 drive vehicles. Some of it will be that the stretchers
 21 are being utilised within the CCS. So I think there are
 22 ways that we could look at a more rapid removal of
 23 patients to the hospitals. But one of the things is if
 24 we've got five patients with head injuries, we don't
 25 want five patients ending up at the neuro centre all at

56

1 the same time.
 2 SIR JOHN SAUNDERS: I well understand that. And that worked
 3 well?
 4 A. Yes. But I fully agree, if we'd have operationally had
 5 more available resource we may have been able to do it
 6 ourselves independently. The utilisation of other
 7 drivers is something that we have done in the past on
 8 limited occasions, but ambulances aren't just a van,
 9 they've quite a lot of different settings and things and
 10 switches and how they operate and are not like a normal
 11 vehicle. I know it sounds a bit unfeasible.
 12 SIR JOHN SAUNDERS: It does a bit.
 13 A. They are quite a sophisticated piece of equipment.
 14 SIR JOHN SAUNDERS: Are you saying the difficulty of getting
 15 police officers who would be able to drive them,
 16 although that has been achieved on other occasions, you
 17 don't think (overspeaking) —
 18 A. On rare occasions. I think it is something we can look
 19 at, but it's about do they know where to go to the
 20 hospital, do they know where the A&E department is or
 21 where we go to the neuro or whatever. But I think it's
 22 something worth considering.
 23 SIR JOHN SAUNDERS: Okay. It may be a bit concerning to
 24 some people to hear you saying, "It's something we could
 25 look at", ie we're going to look at it in the future.

57

1 A. Yes.
 2 SIR JOHN SAUNDERS: Okay, thank you, Mr Blezard.
 3 MS CARTWRIGHT: But as of 22 May 2017, it had been looked at
 4 in the mass casualty dispersal plan which had identified
 5 the hospitals to receive P1 patients, P2s, and the
 6 number that could be received at any given time. It was
 7 a plan that had been trialled in Operation Socrates and,
 8 certainly from the evidence the inquiry's received from
 9 the hospitals, it does suggest that the hospitals were
 10 ready to receive patients.
 11 A. Oh yes, I fully agree. But you wouldn't necessarily —
 12 if they say, "We can take 10 P1s", you wouldn't turn up
 13 at the front door with 10 P1s all in one go because in
 14 A&E resuscitation room they probably have five beds
 15 at the most.
 16 SIR JOHN SAUNDERS: So you have to coordinate with the
 17 hospital that they're ready for people and I think we
 18 understand that.
 19 A. It needs to be sustained because a particular patient
 20 may take up to 10 doctors to look at that one patient.
 21 You couldn't deliver five of them all at the same time
 22 and expect 50 doctors there.
 23 MS CARTWRIGHT: Can I ask then what liaison has taken place
 24 with the hospitals? Certainly from the evidence that
 25 has been received from the MRI they had six trauma

58

1 teams, each having specialist doctors, anaesthetists,
 2 and medical staff, ready to receive patients. So it
 3 wasn't a case of shortage of doctors, there were teams
 4 waiting in the departments, in the resus, to receive
 5 patients. So was there an understanding in NWS that
 6 when the plan is activated there are specialist trauma
 7 teams ready and waiting to receive patients?
 8 A. Yes. So right from near enough the incident being
 9 declared, we would have informed the hospitals to start
 10 their preparations. Once we had declared a major
 11 incident, they would start making plans to clear their
 12 A&E departments, bring in staff, clear or set the
 13 theatres up, if that was what was required, depending on
 14 their speciality. So they would have been preparing.
 15 Then when we enact the plan, they hopefully are
 16 in the right state to start receiving patients.
 17 SIR JOHN SAUNDERS: My understanding is this is, except for
 18 the fact that you're saying this may be a cause of delay
 19 and we understand that, my concern has been about having
 20 a load of ambulances sitting there with a load of
 21 patients sitting there and you can't get them to the
 22 hospital because there's no one to drive them or take
 23 them in the ambulances. That's my concern and you've
 24 done what you can to answer that.
 25 A. Also some of the equipment that's in these vehicles is

59

1 sat there treating the patients in the CCS —
 2 SIR JOHN SAUNDERS: They're absolutely doing the treatment,
 3 I quite understand that.
 4 A. But to transport the patient, you may need —
 5 SIR JOHN SAUNDERS: You may need to split them, have someone
 6 else doing the driving, who's not a paramedic and then
 7 use a paramedic to treat patients. I well understand
 8 that.
 9 A. If the paramedic goes with the patient, we would take
 10 the kit with the patient and then there's no kit to
 11 treat the patients coming down into the CCS.
 12 SIR JOHN SAUNDERS: And this cannot be resolved, are you
 13 saying?
 14 A. No, I'm not saying it cannot be resolved but I am saying
 15 there is a bit more —
 16 SIR JOHN SAUNDERS: A bit more to it than I am saying? I'm
 17 being a bit simplistic, you're saying?
 18 A. Yes.
 19 SIR JOHN SAUNDERS: Okay.
 20 MS CARTWRIGHT: Finally, just to complete this topic,
 21 you have provided a Greater Manchester communications
 22 document, I think, it's {INQ041691/7}.
 23 Can I ask you, because we can see when patients were
 24 down in the casualty clearing station, we can see from
 25 the graph the ambulances that are ready, we know from

60

1 the mass casualty draft plan the system that was in
2 place. But can you assist as to this? We can see for
3 23.45.44, Dan Smith had a conversation with
4 Annemarie Rooney requesting an update on number of
5 vehicles so they can start making decisions on movement
6 of patients.

7 Again in terms of delay, making a decision at 23.45,
8 and it's accepted that patients, a number of patients,
9 a small number, had gone to hospital, but why is it only
10 at 23.45 when decisions are then being made to move
11 patients?

12 A. Obviously I can't speak for Dan, but I would imagine
13 that he needed to have a full understanding of what the
14 patients were in terms of priority and what their
15 specific injuries were so he could ensure patients go to
16 the right hospital with the right type of injury, that
17 that patient gets the best chance in terms of the
18 dedicated care that they require.

19 Q. Thank you. Then can I ask again -- the inquiry has
20 heard lots of evidence about significant delays once
21 patients made their way into the casualty clearing
22 station, of hours, up to 2 hours and longer, where they
23 have got significant injuries. We've heard evidence
24 about that experience: the feelings of pain, the
25 absence -- of the cold. So particularly where patients

1 are in a situation where there's a risk of hypothermia
2 as well, how has NWAS looked at that to ensure speedier
3 dispatch of patients to hospital?

4 A. Of course we understand that from a patient's
5 perspective, that, you know, is unacceptable that you're
6 waiting longer than they feel necessary. I think
7 what -- some of the things that we have done is that
8 when you look at the dispersal plan, the patients -- the
9 vast majority of patients who went early on in that
10 process were the P1 patients, so it's about treating the
11 patients with the highest priority first. I think there
12 has been a suggestion and the chair has mentioned about
13 looking at other ways of transporting patients may be
14 something that could have assisted with that. I think
15 from a patient's perspective that wait is unacceptable,
16 I fully accept that, but we have to do it in an
17 organised way. We need to make sure that the right
18 patient goes to the right hospital for the right type of
19 care, otherwise that could delay the care. If we just
20 take the patient to the nearest hospital and that's not
21 the right care then they are delayed at that hospital
22 and then they need a secondary transfer.

23 So it's about finding the right time slot to get
24 them to the right hospital, but I do accept from
25 a patient's perspective that must have seemed to them

1 like a lifetime.

2 Q. Can I ask a follow-up question about the use of MERIT
3 doctors and BASICS doctors. It seems that there was
4 a small number of doctors actually present at the
5 casualty clearing station and certainly the evidence of
6 Mr Gleeson, the on-call MERIT doctor, was that he was
7 only contacted and collected very late. Has NWAS looked
8 at the use of the doctors and deployment of doctors as
9 part of the work that's been done?

10 A. Yes, I think there was seven of our doctors on scene,
11 ranging from A&E consultants to intensive care and
12 BASICS. I can't remember specific times, but obviously
13 Dr Daley was there very early on. We have looked at how
14 we can do that and we have a bigger cadre now of doctors
15 we can call upon so there is more available to us.
16 Obviously that will help us activate them quicker to get
17 them on scene.

18 I'm also aware there were a number of other doctors
19 who offered their support on the evening and supported
20 us there. I think there was 13 doctors in total
21 operating in the CCS.

22 Q. Can I just ask on that MERIT doctor point because
23 certainly Mr Gleeson's statement suggested that he
24 thought he would have been deployed to work alongside
25 the tactical commander in that role.

1 A. Yes, I believe that's what the intention was. However,
2 I'm not sure what the reason would be for why he was
3 taken to the scene.

4 Q. Again, as well as there needing to be some form of
5 medical adviser to the strategic commander, the plan
6 also envisages that the tactical commander should have
7 the assistance and advice of a doctor.

8 A. Yes.

9 Q. And that didn't take place either on the night?

10 A. No, it didn't.

11 Q. Can I then, please, just finally, work through with you
12 the document that you provided to your June 2021
13 statement, please, by way of the learning.

14 SIR JOHN SAUNDERS: Just before you do that, do you mind if
15 I take something up?

16 Have you got all your statements there?

17 A. I've got the first four.

18 SIR JOHN SAUNDERS: If you have the first one, it's the one
19 I want you to just look at.

20 A. Yes.

21 SIR JOHN SAUNDERS: Could you just look at paragraph 156 and
22 then paragraph 157 having looked at that. This is all
23 to do with the casualty clearing station. I just didn't
24 understand this, really:

25 "There was no casualty clearing station medical lead

1 set up on the night of the arena incident as the number
2 of casualties and the formulation of the mass casualty
3 deployment plan negated the need for a casualty clearing
4 station.”
5 Is that right? There was a casualty clearing
6 station.
7 A. I think that's an error.
8 SIR JOHN SAUNDERS: Maybe it should be "casualty clearing
9 station medical lead" perhaps.
10 A. Yes.
11 SIR JOHN SAUNDERS: Okay.
12 A. Yes.
13 SIR JOHN SAUNDERS: Thank you.
14 MS CARTWRIGHT: Thank you.
15 Please, Mr Lopez, can I ask for {INQ041597/4}.
16 You have provided this by way of an update as to the
17 work that NAWAS has done post the debriefs but also the
18 learning that's arisen from the arena incident.
19 A. Yes.
20 Q. I'm not going to take you through the debrief and,
21 I think, the 26 recommendations that flowed out of the
22 debrief, but in part some of these arise from that
23 debrief work; is that correct?
24 A. Yes.
25 Q. Before we just work through a number of these, can I ask

65

1 you one question though, please. The main part of the
2 debrief process is to capture the learning and what did
3 go well and what didn't go well, but we have received
4 a second witness statement from Annemarie Rooney, who we
5 know played a significant and key role on the night as
6 tactical commander, but she completed none of the formal
7 debrief documentation for that debrief. To what extent
8 when NAWAS are debriefing is there a requirement for
9 individuals who were performing a key and important role
10 to ensure that their experience is captured to feed into
11 the learning?
12 A. You're absolutely right, there has been -- since the
13 arena we have a debriefing policy procedure now that's
14 been developed. Actually, we've also recruited a new
15 employee to look at debriefing and learning and making
16 sure that the learning is embedded within the trust.
17 Since I have had sight of Ms Rooney's statement,
18 I've asked for that to be checked because some of the
19 learning that she put in that statement or ideas or
20 recommendations, I've asked that to be double-checked to
21 make sure they've all been captured.
22 Q. Thank you. So in terms of this, if we could work
23 through, please, what you've fed in in terms of the
24 learning that's taken place. We've already addressed
25 there's been an updated version of the major incident

66

1 response plan and I think there are updated action cards
2 that identify the additional roles for the EOC. There
3 are three extra roles?
4 A. Yes.
5 Q. Sir, we have not yet disclosed out those additional
6 action cards, but we have received them today and they
7 will be disclosed. I am not going to deal with the
8 detail of those roles; they should be self-explanatory
9 from the action cards.
10 You have then set out emergency planning at the
11 arena and detailed the work that's been done around the
12 operational order. Can you just give a summary about
13 that work, please?
14 A. We've done several pieces of work. So following the
15 incident, obviously we worked with ETUK and developed
16 the METHANE messaging then. We've also had an
17 operational order that was developed and subsequent to
18 that, now we have a site-specific quick reference sheet
19 which details all the specific information that's
20 required to attend an incident at the arena. That's
21 been shared with all the stakeholders, GMP, GMFRS and
22 SMG, and that's now kept in a central repository. In
23 terms of the control room, they can access that via an
24 electronic method so they have quick access to see what
25 is required and what are the criteria around the arena.

67

1 Q. Can I ask you, bearing in mind NAWAS had done work
2 post-incident with ETUK, part of the -- one of the
3 documents that was included in your pack was a witness
4 statement from Jeremy Cowen relating to the issue of
5 medical providers. For your reference, sir, that's
6 {INQ041868/1}.
7 And he recommends within his statement the need for
8 creating a formal national occupational standard for
9 those required to operate as medical managers at events.
10 Does NAWAS have any view around that recommendation?
11 A. We do, actually. I was going to raise that as an issue
12 if I was asked for recommendations at the end of this.
13 But I wholeheartedly support what Mr Cowen's put in his
14 statement and there are further recommendations I think
15 we would...
16 SIR JOHN SAUNDERS: Right. So before they re-opened at the
17 arena, you talked to the arena, you talked to ETUK, and
18 you did some training for them, and no doubt you worked
19 out with them that if something terrible like this were
20 to happen again how it would be best to coordinate your
21 activities with theirs --
22 A. Yes.
23 SIR JOHN SAUNDERS: -- which the evidence we've had suggests
24 there wasn't much coordination on the night. That's
25 catching up, as it were, the arena. This looks like

68

1 it's something which is maybe a national problem, so
 2 we're looking at where we've got large arenas where the
 3 training of the staff, first aid training, whether
 4 they've got the adequate training and who's actually
 5 going to look at it. Are NWAS looking at this as
 6 a national, potential national problem, the first aid
 7 provision at major arenas and how you can link into it?
 8 A. I think there needs to be some sort of regulation or
 9 licensing body that has some enforcement powers because
 10 NWAS as an entity don't have any enforcement powers, so
 11 I think that restricts us. And we're not really
 12 commissioned to do that type of thing in terms of --
 13 SIR JOHN SAUNDERS: So you think there should be a licensing
 14 body who licence whether there is adequate first aid
 15 provision at a major site?
 16 A. I think so, yes. And I think there should be somebody
 17 who -- like the Fire Service will go and do inspections
 18 on buildings to see if they've got adequate fire alarm
 19 systems, there should be some regulatory body that
 20 enforces that. I think the Purple Guide and the
 21 Green Guide have been around for quite some time. The
 22 whole sort of medical scene has evolved quite a lot
 23 since then. A good example is the Green Guide talks
 24 about sporting events only up to a capacity of
 25 40,000 --

69

1 MR COOPER: Sir, we are particularly interested in this and
 2 I wonder if the witness could slow down slightly.
 3 SIR JOHN SAUNDERS: Okay, thank you.
 4 I am going to ask Mr Blezard at the end of this to,
 5 where he has got recommendations, put it in a statement
 6 form because there's obviously going to be quite a lot
 7 of detail here and it's something I would like to look
 8 at later as well so hopefully we will get it in writing
 9 as well.
 10 Let's slow down a bit. So the Green Guide isn't
 11 satisfactory either because it's dealing with too small
 12 numbers?
 13 A. Yes, because the stadia now have capacity of up to
 14 80,000. The Purple Guide talks about festivals, but
 15 there's a bit of a gap in terms of events -- like the
 16 arena, does it come under an entertainment licence or a
 17 sporting licence?
 18 SIR JOHN SAUNDERS: The Purple Guide and the Green Guide,
 19 I'm just going to encapsulate it at the moment, do not
 20 provide coverage or sufficient guidance for people to
 21 know what sort of first aid provision they need at an
 22 individual site?
 23 A. I think they do because they have been updated
 24 continually, but the base document, when it was done in
 25 1984, I think they started, maybe we need to revise --

70

1 does it need to be -- should it be one document and
 2 then, depending on what type of event, as you go down
 3 the events of a venue, whether you go down sports or
 4 whether you go down festivals -- I think it needs
 5 (inaudible) because at the point it was written as well
 6 there was no thought of terrorism built into them risk
 7 assessments, so I think a review of them would be
 8 helpful.
 9 SIR JOHN SAUNDERS: Okay. That's a good idea and, as I say,
 10 I would ask you to put these recommendations in writing
 11 if you would be so good. The other angle to this, as it
 12 were, is we've been told really in the first half hour
 13 after an incident you can't expect the state to be there
 14 to help, paramedics are unlikely to be on the scene
 15 ready to help. But as soon as the first half hour is
 16 over, as soon as you arrive, you need to hit the ground
 17 running and you do that better if you have cooperation
 18 with the local first aid people, they know what you
 19 want, and there's some system in place and you have
 20 liaised with them. Has that been thought of as well?
 21 A. What we tend to do at the bigger, more organised
 22 events -- I'll take Manchester United, Old Trafford --
 23 we have far in excess of what the guide says. The
 24 actual club pay for additional support and we actually
 25 have HART operatives there as well. So when you have

71

1 a good, regular liaison with the organiser, that works
 2 extremely well. Some of the bigger festivals, Parklife,
 3 things like that, we may not cover the event but we'll
 4 have an operational commander on site that will
 5 coordinate things as a liaison point. They tend to run
 6 a lot smoother. Whether the legislation allows for --
 7 I don't know -- events over 10,000, there must be
 8 a full-time professional ambulance person there to --
 9 not to cover the event but to organise and liaise,
 10 I think them types of things are where you'll see a more
 11 coordinated response to these types of incident.
 12 SIR JOHN SAUNDERS: Right. These are clearly your ideas,
 13 which are good. Is there any official NWAS response to
 14 this or ...
 15 A. It's not something that we can enforce. We do do these
 16 types of events with the more responsible event
 17 organisers. So if you had a regulatory body that looks
 18 after the event organisers, they would have the powers
 19 to force -- to engage with us and, to be fair, there are
 20 some very good operators out there that do do this, but
 21 there's no obligation for them to do that.
 22 SIR JOHN SAUNDERS: Thank you.
 23 MS CARTWRIGHT: Please can we display again {INQ041597/4}.
 24 We can see that the next learning that's been
 25 identified is formal records of training for commanders,

72

1 and you indicate that commander assessments using a new
2 framework are to commence this month. Has that started
3 now?
4 A. It is just about to. What that is — we've learned
5 that — we continue to make the same mistakes over and
6 over again and we've looked at: is this the way we're
7 delivering the training? Because we quite clearly do
8 identify what the problem is, we try to address it
9 in the way we train commanders, however it isn't being
10 embedded, so we are looking in a different way of —
11 traditionally the Ambulance Service has done — you go
12 and do a classroom setting and then you do a knowledge
13 check or some kind of assessment at the end of it, but
14 we're now taking that further to look at where we have
15 peer-to-peer discussions, different ways of testing
16 people's knowledge to make sure that it's embedded, so
17 that will be implemented this month.
18 Q. One of the suggestions that's been made in the second
19 witness statement that Annemarie Rooney provided is that
20 rather than having an on-call rota, there should be
21 allocated commanders into the roles of tactical,
22 strategic and operational. Do you have any views on
23 that suggestion from someone who's lived the experience
24 of being a tactical commander?
25 A. Yes, that suggestion has come from a couple of

73

1 commanders actually about should we have a small but
2 dedicated team that deal with this. I think it's a good
3 idea but the issue we have is we cover the whole of the
4 north-west and if you've only got small numbers, some
5 incidents could take a long time before they get
6 a response. It's something we're considering, it's
7 about the logistics of how we would deliver that from —
8 obviously we cover from the borders of Scotland down to
9 Wales. We've got to ensure that whatever we deliver is
10 equitable across the north-west, we can't just focus it
11 on one geographical area.
12 Q. Turn over the page, please, Mr Lopez {INQ041597/5}, the
13 next learning that's been identified. There are
14 documents in your proposal that identify that it has
15 been reiterated to NWAS staff that there should not be
16 self-deployment in major incidents because of the impact
17 that has on the NWAS response.
18 A. Yes. There's several reasons why commanders shouldn't
19 self-deploy. One is we need to have business
20 continuity, so if we commit everyone to it and then it
21 goes on, like it's a protracted incident, who does the
22 day-to-day business the next day? How do we know who's
23 at scene if they are self-deploying and then if there's
24 a further explosion or something happens then we can't
25 account for who's there.

74

1 So we've reinforced that — I've wrote personally to
2 all the commanders, we have reinforced it within the
3 major incident response plan, it's within the deployment
4 guidance, but we've also introduced a new system called
5 Cascade, where if there's an incident we page out to all
6 commanders, whether you're on call or not, we'll page
7 out, email and text message. If they are available to
8 respond, they ring in to a certain number, we take the
9 information, and then we deploy them there. We don't
10 give them the information that we can self-deploy. So
11 it's a better way of us managing our resources.
12 Q. So in terms of the individuals that fall into the need
13 for this recommendation, does that include the
14 deployment of Daniel Smith?
15 A. It would do. It's all commanders and all our executive
16 team are in on this and we've tested it several times —
17 we've not tested it in the live environment because
18 we've not had the opportunity to utilise it for a live
19 incident, but in terms of — it has been tested quite
20 regularly going forward.
21 Q. And then can I ask as well as identifying Daniel Smith,
22 we know that shortly after midnight, Steve Hynes took
23 over the tabard of operational commander from Dan Smith.
24 Would he fall into the category of commanders who should
25 not have self-deployed?

75

1 A. Yes.
2 Q. Has NWAS been able to identify the reason why
3 Steve Hynes, who I think was the strategic commander,
4 took over the operational commander from Daniel Smith?
5 A. Yes. I mean, I... I think all commanders want to help,
6 that's part of why we join NWAS, because we want to help
7 people. I think it's motivated by wanting to enhance
8 the response. Obviously, when he arrived on scene there
9 was a brief discussion between him and Dan Smith. I am
10 unclear on the reasons why Hynes took over command,
11 however I'm of the view that that shouldn't have
12 happened.
13 Q. Shouldn't have happened?
14 A. No.
15 Q. Would it be right that you have seen that the tactical
16 commander, Annemarie Rooney, in her second statement has
17 identified that Steve Hynes undertaking that she
18 believes, in her opinion, compromised her ability to
19 perform the role of the tactical commander?
20 A. Yes, I understand that.
21 SIR JOHN SAUNDERS: Let's make it perfectly clear: Mr Hynes
22 did seem to make a lot of sensible decisions and
23 actually did set up communication with other people.
24 MS CARTWRIGHT: Absolutely, sir, and it's right that the
25 first JESIP huddle took place at the time Mr Hynes took

76

1 over.

2 SIR JOHN SAUNDERS: Thank you.

3 MS CARTWRIGHT: In terms of annual commander training

4 you have identified that there was a need for additional

5 training in 2018. Can you just identify that, please?

6 A. Not just because of the arena, I have taken

7 responsibility of the resilience team and we needed to

8 give more protected time to all commanders in terms of

9 how they receive their training in terms of JESIP, but

10 there was lots of revisions of the JOPs at that point in

11 time — I think it was revised three times shortly after

12 the arena — so we have increased the amount of training

13 time for commanders, we've changed the assessment.

14 Before we get to the new educational framework, we've

15 actually changed the assessment process as well, so

16 we've put more emphasis on actual training but how we

17 assess that people are competent as well.

18 Q. Can we then, please, move over the page {INQ041597/6} —

19 SIR JOHN SAUNDERS: And can we shorten stuff as much as

20 we can, bearing in mind the time?

21 MS CARTWRIGHT: Yes.

22 We can see the next one is the action cards. I'm

23 not going through with you any of the detail but I think

24 it identifies the three additional EOC roles that have

25 now been included in the action cards. Those, sir, will

1 be disclosed out.

2 So was it just thought there was a need for far

3 greater support in the emergency operation control in

4 major incident?

5 A. It was, and some of the complications were that at that

6 point in time, Plato was relatively a secret. The

7 control managers had the Plato cards but they were kept

8 in a sealed envelope. What we have done is we've

9 incorporated Plato actions into the major incident

10 response plan as part of it, so it makes it simpler to

11 follow: you're not going to find a separate set of

12 action cards, it's actually within the major incident

13 response plan.

14 Q. Looking at the next identified learning, there's been

15 additional work that NWS have done to make sure the

16 Emergency Operational Control understand how a major

17 incident works alongside a Plato incident.

18 A. Yes, and we've also created a new resilience manager

19 post dedicated just for the EOC to ensure that they're

20 trained, exercised and competent.

21 Q. I'm not going to go through the next few, obviously

22 others can if they wish. Can I move to page 8

23 {INQ041597/8}, please.

24 Can I seek clarification on the JESIP training. You

25 set out there that the training cycle in

1 Greater Manchester lapsed between 2017 and 2018 and that

2 formed the basis of my questions right at the start of

3 your evidence. But can I just be clear because in your

4 witness statement — and I'm not asking you to turn it

5 up or show it, {INQ032649/6} — you indicate that in

6 fact that within Greater Manchester no multi-agency

7 JESIP training had been undertaken between 2014 and

8 2018.

9 A. I think that's an error. We commenced the JESIP

10 training in 2014. I think we delivered it by the end of

11 2015. But then there would have been a gap because it's

12 a 3-year cycle, so we should have restarted in 2017.

13 There was the issue I mentioned earlier where we

14 couldn't get all the services around the table to

15 deliver it. Once we started in 2019, we have delivered

16 it and we completed it in June this year, despite the

17 COVID issues that we've had.

18 Q. I'm next going to ask you about the last recommendation

19 on that page around the multi-agency Airwave Talk Group.

20 The inquiry has heard a lot of evidence about the work

21 around having a tri-service interoperable communication

22 between the control rooms but also for use by the

23 commanders. Just at a high level, bearing in mind

24 you've had that responsibility for JESIP, from your

25 perspective at NWS why did it take so long to resolve

1 this issue, which was plainly an issue on 22 May?

2 A. Obviously there was a solution already there, but it

3 wasn't utilised. I think we've got ourselves into

4 a much better position with the easy control Talk Group

5 that we have now, that is tested on a regular basis, and

6 that is audited.

7 I accept that that should have been better utilised

8 on the night. It wasn't. But we've took steps to

9 improve that.

10 Q. Let me turn over the page to page 9 {INQ041597/9},

11 please, and I am being selective of these various

12 learnings, but the learned chairman has them.

13 You've identified there's a change now to

14 operational support functions because as well as the

15 HART team there was also the AIT staff but SORT staff

16 that do not seem to have been utilised at the arena, but

17 you tell us about NARU's new projects, so there is a new

18 enhanced SORT team. Can you explain what that is and

19 how that's been implemented in NWS?

20 A. So previously there was SORT staff, which dealt with the

21 contamination and AIT staff, which dealt with MTFA or

22 MTA incidents. They've been combined now, so they are

23 one role. It's not a specific, dedicated role: these

24 are over and above being a normal paramedic. So these

25 are a cadre of staff that will be on duty at any one

1 time. We've been asked to deliver 290 staff by April of
 2 next year, which will help us ensure that we have
 3 a significant number, a minimum of 35 on duty at any one
 4 time. But these will be spread out across the
 5 north-west, they had won't be in a specific conurbation,
 6 but they are there for us to call upon so we are now
 7 (inaudible: distorted) in terms of recruiting these and
 8 training these staff.

9 Q. Thank you. Can we move over the page to {INQ041597/10}.

10 Can I ask you -- we know that Mr Beswick was acting up,
 11 I think -- I think he had acted up in training exercises
 12 but it was his first time acting as the HART team
 13 leader. We can see at (viii) one of the matters that's
 14 been identified is that:

15 "The Manchester HART team operated without
 16 a substantive HART team leader on 22 May and changes
 17 have been made to ensure that situation does not occur
 18 again."

19 So was it identified that there was an impact on
 20 there not being a substantive HART team leader operating
 21 at the arena on 22 May?

22 A. I think that there were opportunities for us to deal
 23 with this in a different way. There was a substantive
 24 HART team leader and a person who'd had experience of
 25 being a HART team leader in the Mersey team, so we could

81

1 have split them. What we have done to reconcile that is
 2 we now have a HART team leader development process, so
 3 people who want to be heart team leader go through
 4 a workbook and an assessment process so that they are
 5 ready to do the role once there is a vacancy. So we've
 6 strengthened that so we should have appropriately
 7 trained people who can deal with that role.

8 Q. Finally from my perspective, can I just ask -- you
 9 identified the HART team leader radio, the HART team
 10 leader should not operate a second radio and become
 11 distracted by the multi-agency Talk Group, so
 12 essentially that the HART team should remain on the HART
 13 Talk Group. So can I ask, the NWAS major incident
 14 response plan indicates that once crews are deployed to
 15 the incident they should go on to a Talk Group for the
 16 incident. But then how does it operate if HART are on
 17 a separate Talk Group? How do they have an
 18 understanding of, first of all, what NWAS is doing, but
 19 also then have an understanding of what's happening
 20 interoperably if they're only on a HART radio?

21 A. So HART deal with some specific functions that only they
 22 need to be aware of. No secrets, but just so they have
 23 their own Talk Group that isn't being cluttered with
 24 everybody else's conversations. What we would do is
 25 that the HART team leader -- depending on the scenario

82

1 or the incident, they would co-locate with the
 2 operational commander, so if they're -- with the
 3 operational commander they've got the information in
 4 terms of what's going on for the overall incident but
 5 they can also command the HART team. We do know from
 6 experience that having two radios is nigh on impossible
 7 to listen to two -- it's like trying to listen to the
 8 radio and watch the telly at the same time. You
 9 cannot --

10 SIR JOHN SAUNDERS: Okay. This is not unique to NWAS, it
 11 has been coming up on a number of occasions where on the
 12 one hand you need to know what's going on generally and
 13 on the other hand you need to be able to talk to you
 14 particular group and obviously there are compromises
 15 that need to be made and as far as NWAS are concerned,
 16 the right compromise is to have a specialist HART group
 17 dealing with it --

18 A. Yes.

19 SIR JOHN SAUNDERS: -- and they go back to old-fashioned
 20 communicating by speaking to people.

21 MS CARTWRIGHT: Then finally from my perspective, one of the
 22 things that was acknowledged from the opening statement
 23 of NWAS was the necessary learning from exercises had
 24 not necessarily been responded to or acted upon. Within
 25 the expert report of the -- in figure 7, I can take you

83

1 to it if need be -- the experts perform an analysis of
 2 what the earlier training exercises had revealed by way
 3 of issues that were repeated on the night. Have you had
 4 an opportunity to review that analysis that the
 5 ambulance experts performed?

6 A. I have, yes.

7 Q. Would you agree that the contents of what they identify
 8 is the issues that then were identified from earlier
 9 training exercises but then repeated on 22 May 2017 is
 10 a fair analysis from those training exercises?

11 A. Yes, I think obviously the same issues are recurring.
 12 What I would say is some of the training that we deliver
 13 is national training, so we are following a national set
 14 syllabus, which is the same for all three services and
 15 all three services are continuing to make the same
 16 errors or omissions, so maybe we need to look at how we
 17 deliver and embed that training. I am aware that JESIP
 18 are looking at the next wave of training and how that
 19 can be changed to help with that situation.

20 MS CARTWRIGHT: Sir, for your note, that exercise analysis
 21 and lessons table is in the expert report,
 22 {INQ032665/58}.

23 SIR JOHN SAUNDERS: Thank you.

24 MS CARTWRIGHT: So how, pre-incident, pre-22 May, did NWAS
 25 ensure that learning from training exercises was then

84

1 responded to, actioned, but also cascaded to staff to
 2 ensure it was not repeated?
 3 A. Obviously we have a debrief after each training exercise
 4 or incident. We try and gather and capture what went
 5 well, what didn't go so as well, and what we can learn
 6 from. The action plan is created and people will be
 7 given the responsibility of ensuring that these actions
 8 are undertaken and hopefully embedded, so we do have
 9 a record of that and we have a process where these are
 10 now reported up to our trust board to make sure that
 11 there is true oversight and clarity of what we're doing.
 12 We have since then as well — I think I mentioned it
 13 earlier — we've created a new position within the
 14 trust, a resilience manager, who's responsible for the
 15 quality and assurance of resilience and training and
 16 debriefing. So we've invested quite heavily in how we
 17 do that. That's only more recent, that's within the
 18 last year that we've put that new post in, but we've
 19 always had a debrief process in place which is in line
 20 with the College of Policing which is deemed as best
 21 practice.
 22 So we have processes in place. It's not that we
 23 don't identify what we need to do differently; I think
 24 our issue is that we are not really embedding the
 25 learning that we need to do.

85

1 MS CARTWRIGHT: Thank you. That would conclude my section
 2 of questioning. We've been going over an hour. I don't
 3 know whether you have any questions before we take
 4 a further break.
 5 SIR JOHN SAUNDERS: Just a couple of things. Paragraph 102
 6 in your first statement. This is dealing with the SCG.
 7 A. Okay.
 8 SIR JOHN SAUNDERS: I was just querying whether it was
 9 correct or not:
 10 "The SCG chair is often a senior police officer but
 11 this is not always the case and is incident dependent.
 12 This role should not be confused with the police
 13 strategic commander who, like other participants, is
 14 there to represent their own organisation."
 15 I don't think that matches with the evidence we've
 16 heard so far, which is that the police strategic
 17 commander is the person who chairs the SCG.
 18 A. Almost certainly it does follow that format, but when
 19 commanders do their strategic commander training, all
 20 the strategic commanders are given the opportunity to
 21 chair the SCG. Predominantly they are police led, but
 22 if it was a fire-specific incident that we were
 23 responding to —
 24 SIR JOHN SAUNDERS: Sorry, that's not quite the point I was
 25 getting to. It's rather suggesting that the SCG chair

86

1 would be different from the police strategic commander,
 2 the Gold commander. That's not my understanding, but
 3 maybe I got confused.
 4 A. It's not a situation I've come across, but it may not
 5 necessarily ... I think ... I hear the point you're
 6 making and you may well be right, but it's ...
 7 SIR JOHN SAUNDERS: Okay.
 8 A. Yes.
 9 SIR JOHN SAUNDERS: One other point. When you're dealing
 10 with the operational commander in your first statement,
 11 you are dealing with the fact that there is often a need
 12 for a sector commander, and we have heard the suggestion
 13 that in this case, in relation to the Ambulance Service,
 14 there should have been a sector commander in the
 15 City Room. Do you agree?
 16 A. I don't think it's a binary yes or no. It's an option
 17 that was available to us.
 18 SIR JOHN SAUNDERS: Would it have helped?
 19 A. Yes.
 20 SIR JOHN SAUNDERS: If we're looking at recommendations for
 21 the future and looking with the benefit of hindsight and
 22 all of rest of it, would it have helped?
 23 A. I think a HART team leader may have been more
 24 appropriate than Paddy Ennis to be in there.
 25 SIR JOHN SAUNDERS: Thank you.

87

1 MS CARTWRIGHT: I think that's the ambulance expert's
 2 opinion, that the HART team leader should have performed
 3 the sector commander role in the City Room rather than
 4 setting up the casualty clearing station at the furthest
 5 part from the incident outside the arena. You'd agree
 6 with that?
 7 A. In terms of Si Beswick going into the City Room, yes.
 8 There is an element where the CCS — there's certainly,
 9 specifically the mass oxygen delivery system is a very
 10 specialist thing that we needed to do and that was
 11 utilised on the night and I have seen CCTV to confirm
 12 that —
 13 SIR JOHN SAUNDERS: It may be that other people could be
 14 trained to set that up, so you don't use HART operatives
 15 to do something rather than going into the inner cordon.
 16 A. Quite right, and other people were trained but there was
 17 only one available, who was engaged in treating
 18 a patient.
 19 SIR JOHN SAUNDERS: Okay. We're going to have a 10-minute
 20 break.
 21 MS CARTWRIGHT: Please, and then I think we'll be commencing
 22 with Mr Welch's questions on behalf of the families,
 23 please.
 24 SIR JOHN SAUNDERS: Ten minutes; is that enough for you?
 25 A. Yes, thanks.

88

1 (11.51 am)
 2 (A short break)
 3 (12.01 pm)
 4 MS CARTWRIGHT: Sir, can I apologise for the confusion.
 5 I think it's Mr Gozem Queen's Counsel who's asking the
 6 questions on behalf of the families. Can I ask him to
 7 ask his questions now.
 8 Questions from MR GOZEM
 9 MR GOZEM: Good morning.
 10 SIR JOHN SAUNDERS: Well, it's afternoon, just.
 11 MR GOZEM: Sorry for that inaccuracy. I hope I improve as
 12 the day wears on.
 13 SIR JOHN SAUNDERS: Thank you, Mr Gozem. We can see you and
 14 hear you.
 15 MR GOZEM: Good, thank you, sir.
 16 Mr Blezard, I'm going to be asking you questions on
 17 behalf of the families. I'm not going to go through in
 18 detail all the various lessons learned. Principally my
 19 concerns are what went wrong in relation to the
 20 City Room and in relation to the deployment of
 21 resources, both physical and human.
 22 We can agree, I think, that by 10.31 NWS got
 23 a telephone call from a chap called Ron Blake which gave
 24 a very full account of what had happened at the arena.
 25 You've heard that, have you?

89

1 A. I have, yes.
 2 Q. Within a very few minutes, the information that there
 3 had been an explosion and, in his words, that "loads of
 4 people were injured" was with NWS and Annemarie Rooney
 5 was informed. Within a very short space of time she
 6 seems to have asked for HART to be deployed, within
 7 about 6 or 7 minutes; yes?
 8 A. Yes.
 9 Q. Have you looked into, and can you explain why the
 10 Liverpool HART team weren't contacted for 40 minutes?
 11 A. Yes. We have looked into that and we've put in place
 12 a remedy so if a major incident is declared or a major
 13 incident standby is put in place, the second HART team
 14 will be either notified or asked to move to a position,
 15 an RVP nearer to the site of the incident. So we have
 16 learned from that and we accept that the activation of
 17 that team was delayed and we could have utilised them
 18 earlier on in the process.
 19 Q. Do you know why it was delayed?
 20 A. I don't know. I would have expected them to have been
 21 notified, at least notified, but what we tend to do is
 22 bring them to a halfway point between Manchester and
 23 Liverpool as a deployment point in case there are other
 24 incidents. So that's what I would have expected, but
 25 no, I don't know why it didn't happen.

90

1 SIR JOHN SAUNDERS: Who should have arranged for their
 2 notification?
 3 A. I would have expected the control room to notify them.
 4 MR GOZEM: Well, they were sent to a rendezvous point. But
 5 they were left there, they never were called to the
 6 scene. Do you know why that happened?
 7 A. I believe the correct process is to send them to an RVP,
 8 so we do know they were sent to Thompson Street.
 9 I think that is a correct process because we don't know
 10 if it's a multi-sited incident or, you know, there's
 11 secondary devices or whatever. So we don't necessarily
 12 commit our resources straightaway in that respect.
 13 I think that's appropriate.
 14 I think we could have brought them to scene earlier.
 15 I think they were sat at Thompson Street for a period of
 16 time longer than necessary and we could have brought
 17 them forward. That then would have given us more
 18 options in terms of deployment of HART into the
 19 City Room. So I accept that we should have notified
 20 them earlier and then once they were available we could
 21 have deployed them earlier in the process.
 22 Q. So how has that been remedied?
 23 A. As I said earlier, now if — we have a new deployment
 24 plan that's a predetermined attendance plan, so if
 25 a major incident standby is declared, the second HART

91

1 team, depending where the scenario is, they will be
 2 notified. If it's a major incident declared, they will
 3 be mobilised to an RVP point close to the site of the
 4 incident in readiness to be deployed if they're
 5 required. That's been put in, so we have — it's an
 6 electronic system, but there's also a paper-based system
 7 within the control room, they will go through that.
 8 Q. Right. What about mass casualty vehicles?
 9 SIR JOHN SAUNDERS: Sorry, just to follow up on that, was
 10 a major incident declared by the Ambulance Service?
 11 A. Yes.
 12 SIR JOHN SAUNDERS: At what time?
 13 A. (Overspeaking) 46.
 14 SIR JOHN SAUNDERS: Thank you.
 15 MR GOZEM: What about deployment of the mass casualty
 16 vehicle, because this, on the face of it, even from that
 17 phone call at 22.31, appears to have been a major
 18 incident involving mass casualties, doesn't it?
 19 A. It does, and we received lots of calls that evening and
 20 we treated it as a major incident prior to it actually
 21 being declared, so before actually anyone declared
 22 a major incident, we'd already allocated 11 resources to
 23 the incident. We accept that the mass casualty vehicle
 24 would have been beneficial to have been deployed. It
 25 was an oversight and that's been built into the

92

1 predetermined attendance for a major incident, a major
 2 incident standby, that them resources are now identified
 3 and should be mobilised. That's reinforced with the
 4 commanders as well. We've done a lot of training with
 5 the commanders to ensure that they are aware of what
 6 specialist assets are available and systems are in place
 7 to ensure that they are utilised .
 8 Q. Who should have done it on the night? Who should have
 9 called for it or ordered its attendance?
 10 A. I think there were several people should have considered
 11 it. There was the tactical commander, the operational
 12 commander and the control room commander, the control
 13 room manager.
 14 Q. And are you confident that it will be used should
 15 something like this happen again?
 16 A. We have done some testing. We've not had an opportunity
 17 to test it in a real life scenario, but we have done
 18 some mobilisation tests to see how it works. We have
 19 learned from that as well and made some changes as we're
 20 refining the process. But yes, I think we are in
 21 a better position.
 22 Q. Moving on then from those two points, next I want to ask
 23 you about this issue of self-deployment. A lot of those
 24 who self-deployed actually performed a valuable service,
 25 didn't they?

1 A. They did, yes.
 2 Q. And had it not been for their self-deployment, there
 3 would have been an even greater wait than there was for
 4 assistance for those people in the City Room?
 5 A. There would have been. We're not against
 6 self-deployment, it's more of a controlled understanding
 7 of who is making themselves available. We have put
 8 a system in place which commanders who want to make
 9 themselves available for an incident will ring
 10 a specific number, we'll get their skill sets of what
 11 they can and can't do, and that's given to the strategic
 12 commander to make the decision of who he wants to
 13 deploy. So self-deployment in itself isn't a bad thing
 14 but it needs to be done in a controlled way.
 15 Q. Right. So your letter dealing with self-deployment, did
 16 it make that clear, do you think?
 17 A. It goes into some of the reasons. What it is missing in
 18 terms of the letter, because it was written, I think it
 19 was 2018 or maybe early 2019 -- the cascade system where
 20 we can notify commanders if they want to respond hadn't
 21 been developed at that point in time. So that will be
 22 an omission in there. But all commanders are now aware
 23 of the cascade system, it has been tested regularly over
 24 the last few months because it has been a difficult
 25 journey to try and get this piece of software developed,

1 but yes, we are confident now that managers are aware
 2 and it is tested on a regular basis.
 3 Q. Just to summarise, as opposed to what's in your letter,
 4 self-deployment isn't prohibited but reporting of the
 5 fact of self-deployment is encouraged?
 6 A. Yes. Maybe I should try and make this a little bit
 7 clearer. Commanders shouldn't self-deploy --
 8 SIR JOHN SAUNDERS: As I understand it, if you're
 9 a commander who is willing and able to go, you ring in
 10 and ask them, "Do you want me?"
 11 A. Yes.
 12 SIR JOHN SAUNDERS: If they then say, "Yes, we want you",
 13 they can then go and deploy?
 14 A. Yes, that's correct.
 15 SIR JOHN SAUNDERS: It's not really self-deployment, I don't
 16 think.
 17 A. Yes.
 18 MR GOZEM: All right, thank you.
 19 Would it be right to say that a bigger problem on
 20 the evening may have been self-appointment rather than
 21 self-deployment in the sense that Dan Smith effectively
 22 appointed himself operational Bronze commander and
 23 Steve Hynes came and displaced him and appointed himself
 24 operational commander?
 25 A. I think Dan Smith was in a good position to appoint

1 himself as the operational commander. I don't have any
 2 issues with that.
 3 SIR JOHN SAUNDERS: My recollection is it was done in
 4 conjunction with Annemarie Rooney.
 5 A. She asked him to mobilise. Then there was a discussion
 6 with Derek Poland on arrival and it was decided amongst
 7 them.
 8 SIR JOHN SAUNDERS: Okay.
 9 A. In terms of Mr Hynes' self-deployment, as I said
 10 earlier, it shouldn't have happened. It's my view that
 11 he shouldn't have taken operational command from
 12 Dan Smith, but I think, as we are aware, he did enhance
 13 the response. He was the first person to manage to get
 14 a JESIP huddle together. So while it's not something
 15 we would advocate, it did enhance some of the response.
 16 MR GOZEM: All right. Moving on then, one of the things
 17 that you have been asked about and you've agreed with,
 18 I think, are the failures to appoint certain individuals
 19 in particular roles, ie safety officer, equipment
 20 officer and so on and so forth; yes?
 21 A. Yes.
 22 Q. In part, is that related to action cards and the failure
 23 of individuals to consider what the action cards
 24 provide?
 25 A. My understanding is that the commanders on scene, some

1 of them made conscious decisions not to apply some of
 2 these roles and some of them were omissions. I agree,
 3 it would have been better that we did fulfil these or
 4 put people into these functional roles and that's partly
 5 the reason why we've taken the steps to have dedicated
 6 safety officer training courses so that it is at the
 7 forefront of people's minds that there are people who
 8 have that skill set. But if there is an incident, they
 9 can actually say to the operational commander, "I am
 10 trained as a safety officer", so we have taken steps for
 11 that.
 12 SIR JOHN SAUNDERS: Just before we go on, are you able to
 13 tell me which of these roles were a deliberate decision
 14 not to appoint?
 15 A. I can't remember.
 16 SIR JOHN SAUNDERS: If not, you can come back to me.
 17 A. It was in Dan Smith's oral evidence, he made some...
 18 SIR JOHN SAUNDERS: Well, I'm afraid I ---
 19 A. I think you asked him some specific questions on that
 20 and he said it was a conscious decision or ---
 21 SIR JOHN SAUNDERS: We can check on his evidence.
 22 Thank you, Mr Gozem.
 23 MR GOZEM: Not at all.
 24 Appointing and training up safety officers is one,
 25 I suppose, potential solution to the problem, but I want

97

1 to ask you about the use of action cards, and first of
 2 all to ask you to explain to us the role of a loggist
 3 who might be present at the scene with an operational
 4 commander. What is the aim and do you expect there to
 5 be a loggist, do you expect the operational commander to
 6 record the reasons for their decisions?
 7 A. So we wouldn't expect a loggist to be deployed to the
 8 scene of an incident. There are some logistical issues:
 9 they'd have to be on call, how would they get there, is
 10 it safe for them to be deployed there. I think
 11 Mr Smith's evidence was quite strong on this, that he
 12 said they wouldn't be able to keep up with what was
 13 being said and the actions being taken. Obviously, the
 14 role of a loggist is to record accurately and
 15 contemporaneously the actions being taken. There are
 16 other ways of recording this. We have dictaphones, all
 17 commanders have dictaphones. We actually have
 18 a dictaphone procedure now, which we developed to ensure
 19 that commanders are aware of it, and what we've
 20 advocated now is when we do any training and exercising
 21 that they actually use dictaphones --- rather than just
 22 saying you would do it, they are actually using them as
 23 part of the debrief process. So we have tried to get
 24 a better way of recording the actions of the commanders.
 25 Q. Right. What's the position now, finally, please?

98

1 Forgive me if I didn't properly understand this. What's
 2 the position now with action cards and the provision of
 3 those to, for instance, an operational commander like
 4 Dan Smith?
 5 A. All operational commanders have a copy of the major
 6 incident response plan and the action cards. All
 7 vehicles have them and everybody, we know --- we've asked
 8 them to actually physically sign to say they've got
 9 them. We are looking at how we can deliver action cards
 10 in a different way going forward. I've asked for them
 11 to revise a way in terms of having just a list of
 12 actions that people should do there should be more
 13 considerations and principles or key principles that we
 14 need to do but everybody has access to them, has them
 15 electronically, so each commanders can access them on
 16 their mobile phones now, but they also have other
 17 electronic devices.
 18 So the availability of action cards are there for
 19 them. But more importantly, it's how they utilise them.
 20 How they use them is the key for me.
 21 Q. Absolutely. You would have considered what the
 22 ambulance experts have said about NWAS' performance
 23 generally and by and large they've rated the training as
 24 at least adequate, but it's the application of the
 25 training by the individuals on the evening where there

99

1 seems to be something of a problem or an issue. Do you
 2 agree with that point generally, first of all?
 3 A. I do agree that they weren't referred to as much as they
 4 should have done. I think it sometimes may be
 5 unrealistic to get an action card out if you're
 6 deemed --- there is an awful lot of information coming to
 7 you and misinformation, you've got to try and decipher
 8 that, you've got to make plans and decisions in
 9 real time, very quickly, and it's always an
 10 often-changing information at that time. So to work
 11 your way through an action plan or an action log or
 12 a list is sometimes quite difficult.
 13 Q. Yes, of course it may be difficult, but it may be
 14 extraordinarily important. Concentrating on those
 15 people who were in the City Room, for instance, we know
 16 that there were many people in the City Room who weren't
 17 injured, whether police, your paramedics, three of them,
 18 and so on. But many people who were injured who were in
 19 desperate need of assistance and how to deliver that to
 20 them. It may have been of assistance to Dan Smith to
 21 look at the action cards and consider the appointment of
 22 a sector commander. Do you agree?
 23 A. It is something that he should have considered. I think
 24 it may have been beneficial if we had done that and most
 25 probably the person might have been the HART team leader


100

1 to fulfil that role.
 2 Q. Mr Blezard, it's not really, is it, just the fact that
 3 it may have been beneficial, it would have been
 4 undoubtedly beneficial for there to have been somebody
 5 in direct communication with Dan Smith from the
 6 City Room to explain to him what was needed and what was
 7 happening?
 8 A. I think communications definitely could have been
 9 improved on scene. There was some communication -- we
 10 know that because we were asked and requested to take
 11 additional kit up there for the HART operatives, so
 12 there was communication there. That could have been
 13 improved.
 14 Q. But my question was: it would definitely have made
 15 a difference, wouldn't it, if he had appointed a sector
 16 commander?
 17 A. I'm not certain that's correct. I think the role that
 18 Patrick Ennis fulfilled was good. I think having
 19 a sector commander would not have delivered anything
 20 more than what Paddy Ennis did.
 21 Q. Well, I'm going to ask you to reconsider that answer.
 22 It's not fair, is it, to ask Patrick Ennis, on the one
 23 hand, to act as a primary triage officer, assisting
 24 those people who are injured, and at the same time to
 25 assess all that's going on in the City Room and give

101

1 frequent updates and reports to Dan Smith?
 2 A. I think if we were to replace Paddy Ennis with the
 3 HART team leader, Paddy Ennis had an awful lot of
 4 information that was going on in that scene. That
 5 information could have been lost. He knew which
 6 patients he had visually triaged, he knew which patients
 7 were deteriorating, so he could have considered that.
 8 Replacing him with someone else may have deteriorated
 9 the command of it, because it was somebody new who would
 10 have had to go through that process again.
 11 Q. Why would it have been necessary to replace him? Why
 12 wouldn't Mr Beswick have gone in as an additional
 13 response?
 14 A. It's my view that Patrick Ennis shouldn't have been
 15 deployed there in the first place because he wasn't
 16 a specialist operative.
 17 Q. Sorry?
 18 A. Paddy Ennis shouldn't have been in there in the first
 19 place because he wasn't a HART-trained specialist
 20 operative.
 21 Q. How does that answer my question?
 22 A. Well, if we'd sent a HART team leader up there, it would
 23 have enhanced it as well as Paddy Ennis being in there.
 24 SIR JOHN SAUNDERS: It's a bit alarming that on the one hand
 25 you're saying, well, yeah, maybe more of the HART team

102

1 might have been there, but it's a bit of a difficult
 2 decision because they've got other things they can do,
 3 and on the other hand definitely the one paramedic we've
 4 actually got there doing anything shouldn't have been
 5 there at all. So actually, you're saying the real
 6 position in your view is shouldn't have had any.
 7 A. 
 8
 9
 10 SIR JOHN SAUNDERS: Mr Gozem.
 11 MR GOZEM: Let's see if we can agree about this. As
 12 operational commander, it was the responsibility of
 13 Dan Smith to ensure that he had sufficient information
 14 about what was going on, what was needed, in the
 15 City Room, wasn't it?
 16 A. Yes, it was.
 17 Q. And do you agree with me that it was unfair of him to
 18 expect those three paramedics to do what they were doing
 19 and at the same time to give him updates to the
 20 requirement for stretchers and further assistance and so
 21 on and so forth?
 22 A. I believe paramedics all the time on a daily business
 23 (sic) are very well used to communicating what is
 24 required. So if a paramedic goes out to an incident and
 25 they feel it's beyond their scope of practice, they will

103

1 ask for clinical supervision and ask for support. So
 2 staff from the ground level up are very well rehearsed
 3 in asking for support and help. If Patrick Ennis or the
 4 HART team needed support, they would have asked for
 5 that. It is something that is embedded into staff right
 6 from day one: if it's beyond your scope of practice or
 7 you are overwhelmed, you ask for support.
 8 I think communication between Dan, Paddy and the
 9 HART operatives should have been better than it was.
 10 But if there was any difficulties, they would have asked
 11 for support.
 12 Q. Let's just examine that then, Mr Blezard. Your guidance
 13 to the first individual who arrives at the scene, who is
 14 perhaps a paramedic, is not to get hands-on but to gain
 15 situational awareness and to report; do you agree?
 16 A. Yes.
 17 Q. Is that because going hands-on with a patient minimises
 18 or diminishes the opportunity to gain full situational
 19 awareness and to report back?
 20 A. It does, yes.
 21 Q. So it's not really right, is it, for you to say that
 22 those three who were in the City Room, Mr Ennis and the
 23 two HART operatives, could have provided Dan Smith with
 24 the information that he needed; it required somebody
 25 hands-off, didn't it?

104

1 A. I'm not sure what more information Dan Smith required.
 2 He knew there was a number of patients up there that
 3 were severely injured. The operational plan was already
 4 in place in terms of extricating patients as quickly as
 5 possible into the CCS and dealing with the patients down
 6 there. What more information would Dan require?
 7 SIR JOHN SAUNDERS: What he really needed was a risk
 8 assessment, isn't it?
 9 A. Yes, but I think that's predetermined within the JOPs.
 10 Everybody commonly agreed it was a warm zone and that
 11 was the risk assessment that was applied.
 12 SIR JOHN SAUNDERS: Okay.
 13 MR GOZEM: You say that the operational plan was already in
 14 existence and was being followed. In effect, that was
 15 purely ad hoc, wasn't it, because police officers and
 16 others were simply using crowd barriers and putting
 17 people on them, literally carting them down to the
 18 station concourse? That wasn't any part of an NWAS
 19 operational plan, was it? It's just what happened.
 20 A. Yes, I believe that that was already happening when
 21 Dan Smith had arrived and Paddy Ennis were having their
 22 because patients were already being extricated utilising
 23 whatever was available. I accept that isn't the best
 24 methodology of transporting patients, but it was an
 25 effective one. From my understanding, Dan agreed that

105

1 bringing a patient down as quickly as possible is in the
 2 best interests of the patient. But yes, if we'd had
 3 a more appropriate way of dealing with that, yes,
 4 I agree that we could have dealt with that in
 5 a different way.
 6 Q. The failure to converse, to arrange an FCP, for
 7 instance, didn't help either, did it, because the
 8 information wasn't coming out of the City Room and it
 9 wasn't coming from any other resource, police officer or
 10 whoever, at a forward control point to Dan Smith?
 11 A. Yes, I totally agree that an FCP would have enhanced the
 12 response on behalf of all services.
 13 Q. But you still, do you, baulk at the idea of the
 14 appointment of a sector commander?
 15 A. We tend to utilise them when we've got patients
 16 distributed over a large area, so the classic example in
 17 all the training manuals is when you have a train crash
 18 and each carriage becomes a sector because you can deal
 19 with it — this was a single-sited incident where we
 20 knew mostly what was going on there. Obviously there
 21 was some discussion between Paddy and Dan when he came
 22 down the stairs, a brief discussion about what was going
 23 on up there, a brief discussion about numbers. Paddy
 24 went back — I believe they truly believed there was
 25 some conversation between them during the incident but

106

1 there is no recorded evidence of that. The only
 2 explanation I can offer on that is whether they've done
 3 it on point-to-point on the radios, which isn't
 4 recorded — it's a way of communicating direct by radio
 5 to individuals. But I think there must have been some
 6 flow of information because at some point a request for
 7 additional triage cards to go back up there was made and
 8 received, so there must have been communication.
 9 Q. Well, it was HART who brought the triage cards, wasn't
 10 it?
 11 A. It was, yes.
 12 Q. So that may have been HART contacting HART?
 13 A. That's correct, yes.
 14 Q. Yes. The point I'm making, really, is this — and I'm
 15 not sure whether you've answered it, tell me if you
 16 think you did — do you still baulk at the idea that
 17 there should have been a sector commander appointed to
 18 report what was happening and what was needed?
 19 A. No, I think there could have been, yes, it would have
 20 been better if we'd sent one up there, yes.
 21 Q. Is it just there could have been, it would have been
 22 better, or should it have happened?
 23 A. It would have made things better. I'm not entirely
 24 convinced it should have happened because the
 25 information that we were dealing with was flowing back

107

1 to Dan. A plan had been created — whether it's by
 2 accident or design, there was a plan in action that
 3 seemed to be working. I'm not really clear on what more
 4 information Dan would require.
 5 Q. Do you accept that there should have been more
 6 resources, more HART paramedics, in the City Room?
 7 A. Yes. I think we discussed this earlier: where there was
 8 an opportunity where we could deploy some more HART
 9 operatives into the City Room, there was a decision made
 10 not to do that. That isn't — the option that
 11 Si Beswick chose wasn't unreasonable for him to do.
 12 Some of the specialist kit that they had to set up.
 13 Some of the other decisions behind it may have been he
 14 wanted to keep people in reserve because sometimes HART
 15 do keep operatives in reserve to go in as a rescue team,
 16 but I think the better option may have been to deploy
 17 more HART operatives into the City Room.
 18 Q. And do you agree that the best decisions are generally
 19 informed decisions?
 20 A. Yes.
 21 Q. And do you agree that it's likely that had the
 22 information about what was happening in the City Room
 23 and what was needed in the City Room been passed on,
 24 either to Beswick or to Dan Smith, that there would have
 25 been more HART operatives in the City Room?

108

1 A. I think the way HART train is if people are deployed and
 2 they want further support or assistance, they would ask
 3 for it. There was no request made. Whether that
 4 decision should have been taken out of their hands and
 5 made by a HART team leader other the operational
 6 commander at scene, you know, that is an area for debate
 7 that maybe they should have sent them up anyway. To
 8 reaffirm that, I think that's something that should have
 9 been considered. Whether it was considered or not,
 10 I don't know, I wasn't there, I can't speak on their
 11 behalf.

12 Q. Yes, but do you agree that an informed decision would
 13 likely have resulted in more HART operatives being sent
 14 up there?

15 A. I think so, yes.

16 Q. Yes. You see, it's not really hindsight, is it, in the
 17 sense that the situation existed at the time of multiple
 18 injured people lying on the floor in the City Room,
 19 waiting for treatment? That's a fact. It's not
 20 a question of hindsight, it's a question of lack of
 21 information emerging from the City Room to Dan Smith and
 22 to Simon Beswick, isn't it?

23 A. It is, but at the time that decision was being made,
 24 there was also a number of critically ill patients
 25 in the CCS. What we are aware of, irrespective of

109

1 knowing the actual numbers, there was a decreasing
 2 number of patients in the City Room and an increasing
 3 number of patients in the CCS. That's something that
 4 you need to consider, that by deploying people up there
 5 and they're not necessarily required, they could have
 6 been deployed in the CCS. There is a balance. I think
 7 on the yellow and red table there is a balance where
 8 there's a shift from the numbers in the City Room are
 9 less than what they are in the CCS and there's -- 2 or
 10 3 minutes after that there's a shift in where the
 11 further bulk of the patients are.

12 Q. I'm not going to go over it, but you know very well,
 13 don't you, that Ms Cartwright pointed out to you the
 14 deficiencies in that table and the way that it had been
 15 prepared?

16 A. She did, yes.

17 Q. Yes. So it's not truly representative of what might
 18 have been the position, is it?

19 SIR JOHN SAUNDERS: Well, it's representative of one
 20 particular aspect but it might have been better to have
 21 both.

22 MR GOZEM: Thank you, sir, I agree.
 23 I want to ask you this, please: in relation to these
 24 action cards, would it be possible to have specific
 25 major incident action cards or is that what you already

110

1 have?

2 A. We already have -- the action cards there are for the
 3 major incident response plan, so they're specific to
 4 major incidents. I'm not sure whether you mean to
 5 different types of incidents.

6 SIR JOHN SAUNDERS: I think that's fine.

7 MR GOZEM: Yes. Given that they are available
 8 electronically, would it be difficult to devise a system
 9 whereby the operational commander, for instance, simply
 10 electronically entered a tick saying he had considered,
 11 for instance, an equipment officer, a safety officer,
 12 a sector commander?

13 A. We haven't got that available now. We have what's
 14 called the JESIP app, it's been forced on to all trust
 15 phones so everybody has access to it, and there are
 16 checklists on there where you can say what you have
 17 done, what you haven't done, who you have contacted and
 18 make some brief notes. That is an app that's generic to
 19 the whole of the Ambulance Service and the police and
 20 fire. It's one size fits all. We haven't got that
 21 available for NWAS action cards because not all -- each
 22 ambulance trust has a slight variation on their action
 23 plans or their action cards because there's been no
 24 national update since 2015 that I'm aware of. But it is
 25 something that may be achievable, but we're looking at

111

1 changing -- or my view is we should look at how we
 2 deliver the action cards anyway.

3 Q. There was talk, and I think the chairman asked you
 4 questions about moving to guidelines and what might be
 5 the most effective way, and there was discussion of
 6 whether the strategic or the tactical commander might
 7 point out to the operational commander the advantages of
 8 a particular appointment. Did that happen, should it
 9 happen, will it happen in future?

10 A. I think it should happen. I think we are looking at
 11 dealing with it in a different way. We're looking at
 12 trying to increase our amount of tactical advisers so
 13 that there is enough capacity to have a tactical adviser
 14 to attend scene and support the operational commander in
 15 a number of things. The operational commander has
 16 a significant amount of responsibility to deal with
 17 information coming in, making decisions and getting it
 18 out. But having a tactical adviser that can support the
 19 operational commander, take away some of them
 20 considerations for them, that is the way we are looking
 21 at dealing with that.

22 We've already made some positive steps to get to the
 23 numbers that are required but we still need to do some
 24 further work on that.

25 Q. That would be a tactical adviser who would be deployed

112

1 together with the operational commander, say for
 2 instance, "Have you considered the appointment of an
 3 equipment officer", or whatever, "that would help us"?

4 A. Yes, and numerous other things. They will have a much
 5 more in-depth knowledge of what HART can deliver, the
 6 more of -- the specialist type resources that are
 7 available. All our tactical advisers are also dual
 8 trained as a NILO so they may have a better
 9 understanding of the police and fire special resources.
 10 Also, they can drive the JESIP huddle. Where the
 11 operational commander is looking at setting up command
 12 and control of the scene, the tactical adviser could
 13 assist in pushing forward the JESIP agenda in terms of
 14 coordinate, communicate, co-locate.

15 Q. Well, given that the tactical adviser exists at the
 16 moment and is and will remain, as I understand it, both
 17 a tactical adviser and a NILO, is the change then
 18 specifically that the tactical adviser will henceforth
 19 go to the scene rather than to the SCG or wherever, to
 20 police headquarters?

21 A. I think our preferred method is that we increase the
 22 numbers so there's enough: one to go to the SCG to
 23 advise the tactical commander, one to go to scene to
 24 advise the operational commander, and the third tactical
 25 adviser or NILO would do the inter-agency liaison so we

1 would have three available to us. So that's what we're
 2 aiming to do.

3 Q. That third one, would that third one be at the scene?

4 A. No, the way we operate at the moment is the one that
 5 deals with the communicating stays at home because you
 6 can't make notes and logs, so that one would stay
 7 wherever they're situated and do the inter-agency
 8 liaison .

9 Q. Just forgive me for one moment, please, because I'm very
 10 close to finishing my questions for you.
 11 Forgive me if I asked you this earlier but it's
 12 a question I intended to ask: do you know why the
 13 Liverpool HART team were never deployed from the RVP
 14 that they were sent to?

15 A. They were. My understanding is that they were deployed
 16 from Thompson Street, late on in the incident, I think,
 17 and they arrived at around about 00.15, I think, from
 18 the top of my head.

19 SIR JOHN SAUNDERS: That's my recollection, Mr Gozem, that
 20 they did arrive pretty late, having stayed at the RVP
 21 for some time. It's just my recollection.

22 MR GOZEM: It was a poor question: do you know,
 23 Mr Blezard -- forgive me, I'll rephrase it -- why they
 24 weren't sent to assist earlier than they were? Because
 25 effectively, by the time they got there, most of what

1 they might have assisted with, particularly in the
 2 City Room, was done.

3 A. Yes, I think I touched on this earlier. I think we were
 4 late to deploy them from the HART base in Liverpool to
 5 the RVP and then pretty much delayed in sending them
 6 from the RVP to the scene.

7 SIR JOHN SAUNDERS: I think the question is why and I think
 8 you have said you couldn't say why.

9 A. I don't know. My expectation was that they would have
 10 been notified that the incident had been declared
 11 a major incident and that action should have taken place
 12 then, not later on.

13 SIR JOHN SAUNDERS: And whose job should it have been to
 14 send them from the RVP?

15 A. I would have expected either Si Beswick or Dan Smith to
 16 call them down saying, "We want further support here".
 17 I think the decision could have been from either of
 18 them.

19 SIR JOHN SAUNDERS: So they would have been informed, would
 20 they, "The Liverpool team are here, ready to go", and
 21 then it was for them to say go?

22 A. Yes. There must have been some communication because
 23 somebody did request them to attend there but I do
 24 accept that that should have been earlier on.

25 MR GOZEM: Yes, thank you, sir. I have no more questions

1 for Mr Blezard.

2 SIR JOHN SAUNDERS: Thank you very much, Mr Gozem.

3 MS CARTWRIGHT: Sir, I don't know whether it assists by way
 4 of clarification, but I checked the evidence of
 5 Dan Smith from 26 May 2021, and his evidence was that he
 6 did not appoint a secondary triage officer, a safety
 7 officer was not appointed. He indicated that was an
 8 omission, he'd never been at a scene where a safety
 9 officer was in place. He did look at the action card
 10 later and take notes. There was no safety officer, but
 11 didn't appoint one, and his evidence was he wasn't
 12 convinced he would have been better informed by a safety
 13 officer. He also did not appoint an equipment officer
 14 or a forward doctor.

15 SIR JOHN SAUNDERS: Did he say why?

16 MS CARTWRIGHT: No.

17 SIR JOHN SAUNDERS: Okay, thank you.

18 MS CARTWRIGHT: Could I ask then if Ms Roberts could ask her
 19 questions, please?

20 MS ROBERTS: Thank you very much.

21 SIR JOHN SAUNDERS: We'll obviously break off for lunch.
 22 Are you happy to go for another 10 minutes or so,
 23 quarter of an hour?

24 A. Yes.
 25

1 Questions from MR ROBERTS

2 MS ROBERTS: Thank you. Mr Blezard, it might help if
3 we have a little bit of context first of all. At the
4 very beginning of your questions with Ms Cartwright you
5 were asked about the predetermined attendance and about
6 site specific plans and so forth. You said this:
7 "We cover the whole of the north-west."

8 Just by comparison, please, with, for example, GMP,
9 do you know what the area is that you cover?

10 A. Just over 5,500 square miles.

11 Q. Thank you. So far as staff numbers are concerned,
12 do you have a comparison between the staff that you
13 employ as an organisation compared with the staff
14 numbers that GMP employ?

15 A. Yes. In terms of operational paramedics and operational
16 emergency staff, it's around about 3,500 staff for the
17 whole of the north-west. I believe GMP employ around
18 about 6,500 officers within a 500 square mile --

19 Q. 500 square miles?

20 A. Yes, I think so.

21 Q. You touched on the kind of provision that is afforded to
22 sports stadia, for example taking Old Trafford, which is
23 a stadium with which I think you have some familiarity,
24 and you were differentiating between that and the
25 provision that is afforded or certainly was afforded

117

1 at the time to the arena. As I understand it, there was
2 an arrangement -- was that up to about 2003 -- between
3 the arena and NWS in its previous guise?

4 A. Yes. In the very early days, we just provided an
5 operational commander that functioned as a liaison and
6 if there were any incidents there they would deal with
7 them. Because all our commanders are paramedics as
8 well, we would provide some additional treatment. There
9 was an incident there, I think it was 2002, where we
10 then decided that we didn't want to be there with just
11 a commander, we wanted to have some operational presence
12 there because of conflicting -- dealing with a major
13 incident and dealing with patients. That was put in
14 place for a very short period of time.

15 I wasn't directly involved with any discussions
16 around that, but shortly after we increased our
17 resources and our commitment there that we no longer
18 provided any cover there and I think it was EMT UK or
19 AAA, whatever they were called at the time, who took on
20 the sole responsibility.

21 SIR JOHN SAUNDERS: Do you mind if I just pursue that
22 slightly?

23 MS ROBERTS: Of course, yes.

24 SIR JOHN SAUNDERS: Presumably this is a financial agreement
25 between you and the arena?

118

1 A. Yes.

2 SIR JOHN SAUNDERS: If you provide an operational commander,
3 they would pay for that operational commander?

4 A. Yes. Basically, yes, they would pay.

5 SIR JOHN SAUNDERS: And that person would direct their own
6 first aid people on site or not?

7 A. What we tended to do is make sure that -- I actually
8 fulfilled that role on several occasions. We would make
9 sure that were appropriate numbers -- at the point I did
10 it it was St John, it wasn't AAA -- the right amount of
11 St John people there, they were all in position, and
12 we would communicate with whichever of Whiskey Control
13 or Sierra, I can't remember which one it was.

14 If there was an incident I would allocate people to
15 it and if it was a complicated incident or maybe it was
16 beyond the skills of St John we would go down and advise
17 and if it needed a requirement for an ambulance, we
18 would arrange an ambulance to come in and take the
19 patient away.

20 SIR JOHN SAUNDERS: So you were essentially managing the
21 in-house team?

22 A. Yes.

23 SIR JOHN SAUNDERS: Right. And then you said that was
24 decided that wasn't enough. Was that decided by you or
25 by the arena or jointly?

119

1 A. My understanding -- I wasn't directly involved. My
2 understanding is that following an incident where we
3 felt exposed there, we said we will only provide cover
4 if it's a paramedic crew and a commander. That was in
5 place for possibly a year or so and obviously that was
6 an increased cost to SMG --

7 SIR JOHN SAUNDERS: Yes.

8 A. -- and then at some point that was terminated.

9 SIR JOHN SAUNDERS: So they paid for some paramedics to be
10 there --

11 A. Yes.

12 SIR JOHN SAUNDERS: -- in addition to their in-house
13 first aid team?

14 A. Yes, they were supplementary. That's commonplace in
15 lots of events. So Old Trafford will have --

16 SIR JOHN SAUNDERS: Okay. Sorry, I think I understand.
17 Then that was stopped for financial reasons?

18 A. I'd only be guessing.

19 SIR JOHN SAUNDERS: Okay. We don't want you to guess about
20 that. Thank you.

21 MS ROBERTS: So we can be clear, is it a decision when
22 providing cover, NWS cover at events, is it you that
23 picks and chooses which venues you provide cover at? Is
24 it a subjective test applied by you or is it what the
25 particular venue wants and them contacting you to

120

1 arrange that? How does it work?
 2 A. It varies from different types of events. So at
 3 Premier League football clubs they are mandated to have
 4 certain things, they have to have pitch paramedics, they
 5 have to have full-time professional paramedics, not
 6 necessarily a statutory Ambulance Service, but they have
 7 to have full-time paramedics and they have to have
 8 a statutory ambulance commander there. So them type of
 9 events are pretty much standard what happens.
 10 There are concerts that happen where there may be
 11 a medical provider who will engage with NWS, ask us to
 12 be involved in the safety advisory group, advise them on
 13 what was the appropriate levels of resources, what
 14 hospitals are the nearest.
 15 SIR JOHN SAUNDERS: This is all voluntary and it comes from
 16 the concert provider in the first place, there's no
 17 statutory requirement?
 18 A. Usually the event organiser or the medical provider will
 19 contact NWS. We're not obligated to do any of this.
 20 SIR JOHN SAUNDERS: It's a contractual matter between you
 21 and them?
 22 A. Yes.
 23 SIR JOHN SAUNDERS: Sorry to cut across you.
 24 MS ROBERTS: Perhaps by way of reassurance to the people of
 25 the north-west, when there is, for example, a home

121

1 fixture at Old Trafford and there is an NWS presence
 2 there, does that in any way detract from the service
 3 that you provide and are obliged to provide across the
 4 north-west? Does it detract in any way from the
 5 business as usual?
 6 A. No, the resources that go there are over and above our
 7 core fleet. Part of that is to -- if there is an
 8 incident there, it doesn't impact on the day-to-day
 9 business. But it's also ... They can be quite
 10 challenging, some of these events, so if it's a derby
 11 match, things like that, we have to put a load of plans
 12 in place in terms of rival fans going to different
 13 hospitals, if the police are involved, they go to a
 14 third. So it's about minimising the impact on the wider
 15 NHS. We try to -- it's paid for by the club, basically,
 16 that they buy in the resource and we provide it, but
 17 it's over and above any NHS contractual work, if that
 18 makes sense.
 19 SIR JOHN SAUNDERS: So that's actually correct, is it, that
 20 if you've got an incident or something happens at
 21 a football match, you would always send rival supporters
 22 to different hospitals?
 23 A. We try to, yes. We plan that so you don't get fighting
 24 at the hospitals.
 25 SIR JOHN SAUNDERS: I do understand the reason. It's just

122

1 surprising.
 2 A. We send the police to a third hospital, so we try to
 3 plan around that.
 4 MS ROBERTS: We're reassured by that. I want to ask you,
 5 please, now about, we'll confront it head-on if we may,
 6 you've been asked a number of times about your view
 7 about why it was that more paramedics were not deployed
 8 into or did not go into the City Room. What you have
 9 said a number of times, Mr Blezard, is in your view it
 10 was a warm zone and, according to the JOPs that was in
 11 operation at the time, non-specialist responders should
 12 not have been deployed into the City Room. Have
 13 I summarised what you said this morning?
 14 A. Yes, that's correct.
 15 SIR JOHN SAUNDERS: I really want to understand the terms
 16 for this, really. So the question of whether it is
 17 a warm zone or a cold zone is something which would need
 18 to be decided on a risk assessment at the site. One of
 19 the things I'm going to have to decide is whether there
 20 was such a sufficient risk assessment taking place. Are
 21 you able -- are you saying you now, at this distance of
 22 time, can carry out that sort of risk assessment?
 23 A. It's generally led by the police, that type of thing.
 24 SIR JOHN SAUNDERS: It's led by people who are there
 25 essentially as well.

123

1 A. It is. I think on the night, Inspector Smith hadn't
 2 been trained in JOPs. So was he making an informed
 3 decision about whether it's warm or cold and whether you
 4 should deploy police in there? There's provision in the
 5 JOPs for police to be deployed, non-specialist
 6 operatives within the police to be deployed within warm
 7 zones. That's a clear provision within there.
 8 SIR JOHN SAUNDERS: Okay. Sorry to stop you again. When
 9 I was asking questions about this, that was on the basis
 10 of the police experts looking at all of the information
 11 that they have and they have decided that actually it
 12 was properly a cold zone on the evidence that they have
 13 seen. We know it was being treated and certainly being
 14 treated by NWS as a warm zone and I'm not criticising
 15 that particularly. What I'm concerned about is: are you
 16 being asked to give your own expert opinion on what sort
 17 of zone it was? And if so, are you in a position to do
 18 that?
 19 A. I think trying to negate the benefit of hindsight, if
 20 I was on scene I would have treated that as a warm zone.
 21 SIR JOHN SAUNDERS: Because of?
 22 A. There'd been an explosion. There'd been terrorists in
 23 there. We weren't clear that there was going to be
 24 a return of terrorists. Nobody knew whether there was
 25 one or more of them. There could have been multiple

124

1 devices. The device that went off could have only
 2 partially detonated and could have exploded further. So
 3 there certainly was a risk there. So from my personal
 4 opinion, on the night I would have treated it as a warm
 5 zone.
 6 SIR JOHN SAUNDERS: So the police experts say, armed police
 7 get in there very quickly, they make sure there are no
 8 armed terrorists or terrorists in there, so they clear
 9 it of any shooter that there may be and they then guard
 10 the area to stop anyone coming into it. So on that
 11 basis they say, so far as shooters are concerned, it's
 12 a cold zone because they are preventing the risk of
 13 anyone returning. Also they say you disregard -- as the
 14 police have said in their evidence already, you have to
 15 disregard the question there that may be another device
 16 there and that's not taken into account by the police
 17 anyway, as I understand it, and I hope I've remembered
 18 it correctly as to whether it's a warm zone or a cold
 19 zone. So that's the basis on which they say that. Are
 20 you saying, in your expert opinion, they are wrong?
 21 A. I would have treated it as a warm zone. If I'd received
 22 information that the police now consider it cold zone,
 23 then I would reconsider the plan. I think that
 24 Inspector Dexter was a bit unclear, he was using the
 25 words "warmish" or "cooling".

125

1 SIR JOHN SAUNDERS: Sorry, I don't think I need your comment
 2 on Mr Dexter. I'm really asking: are you saying it's
 3 warm on the basis of the possibility of unexploded
 4 devices?
 5 A. Yes, and there could -- yes.
 6 SIR JOHN SAUNDERS: And the police disregard it. This is
 7 something which again can lead to confusion if NWAS are
 8 looking at it on one basis, whether it's warm or cold,
 9 and the police are saying it on another.
 10 A. Yes, and I think in the latest JOPs as well it talks
 11 about if you've had --
 12 SIR JOHN SAUNDERS: Stop for a moment. Are we going to go
 13 into forbidden territory now?
 14 MS ROBERTS: I don't know.
 15 SIR JOHN SAUNDERS: I think we'd better not do it and
 16 someone can find out over lunchtime. There are
 17 certainly -- when we deal with the updated JOPs at least
 18 in part, we're going to have to deal with it in
 19 restricted session. So we'll park that for the moment.
 20 MS ROBERTS: Leaving that to one side, deploying extra
 21 paramedics, whatever the zoning and whatever the JOPs,
 22 deploying them into the City Room presupposes having the
 23 extra paramedics there, doesn't it?
 24 A. Yes.
 25 Q. Have you, as part of your evidential preparation and as

126

1 part of your knowledge of the case, looked at the number
 2 of paramedics who were actually on scene between the
 3 arrival and the deployment of Paddy Ennis into the
 4 City Room and the extrication of the final casualties
 5 out of the City Room?
 6 A. Yes. We have produced a table, I believe, or a chart
 7 that indicates in 10-minute slices the amount of
 8 resources that were on scene. I don't think it's
 9 appropriate for paramedics to be treating patients
 10 in the City Room because of the reasons I explained
 11 earlier. But if you were to do that and those patients
 12 have been extricated down into the CCS, who's going to
 13 care for those patients in the CCS because we have only
 14 got a limited amount of resources or staff to deal with
 15 that. There may be a point in time when you get to
 16 a critical mass where you've got enough, but early on
 17 in that phase, if you deploy more people into the
 18 City Room, once the people are extricated, who's going
 19 to care for them and where's the kit because you've
 20 taken all of your kit? That's been contaminated in the
 21 City Room.
 22 MS ROBERTS: I am going to get on to that in a moment. So
 23 it is then a question of numbers, isn't it, and as
 24 I think has already been said today, accepting the
 25 difficulties and the unlikelihood of being able to have

127

1 paramedics there within, say, the first half an hour of
 2 an incident like this, what is the solution, if there is
 3 one, to having more of them there from that half an hour
 4 point onwards? Is there a solution to that?
 5 A. I would say in terms of not just NWAS, all ambulance
 6 trusts, we work on a basis that patients wait in the
 7 community, so our resources are utilised fully all of
 8 the time. We don't have capacity in terms of spare
 9 capacity to respond to these type of incidents. So
 10 obviously, having more resource will benefit. I think
 11 there are ways that we can fill the gap in terms of
 12 CitizenAID that we've heard and I know that Figen Murray
 13 has put forward a good suggestion that we're willing to
 14 engage with and work at.
 15 But in terms of operational resources, we don't have
 16 physically in our core fleet, whether events like this
 17 actually contract in NWAS to deliver some of the care or
 18 an appropriate care provider that could deliver that,
 19 that would be better, but just having an NWAS presence
 20 at the larger events would be good because then we have
 21 a better situational awareness and have feet on the
 22 ground right from the start of the incident.
 23 Q. So within that first half an hour or so?
 24 A. Well, if we're on site, we'd be there as soon as
 25 post-detonation.

128

1 Q. It seems to be from what you're saying a combination of
2 things. It's a question of having people on site,
3 in situ, as per the football stadia that you have told
4 us about, it's a question of arming people, by which
5 I mean citizens, with the type of information and
6 knowledge and skills that we heard from the brigadier
7 and I think you mentioned Figen Murray's most recent
8 statement well?
9 A. Yes, the trauma kits, I think it's an excellent
10 solution. I think it needs to be thought through and
11 looked at in more detail, but I think there are
12 opportunities. Certainly from an NWAS perspective we're
13 quite happy to work in collaboration with that but on a
14 wider -- whether that becomes a wider piece of work...
15 Yes, I definitely think there's scope to develop that
16 further.
17 Q. All right.
18 SIR JOHN SAUNDERS: Shall we break off for lunch?
19 MS ROBERTS: Yes, please.
20 SIR JOHN SAUNDERS: 2 o'clock, just after. Thank you.
21 (1.04 pm)
22 (The lunch adjournment)
23 (2.04 pm)
24 SIR JOHN SAUNDERS: Ms Roberts, thank you.
25 MS ROBERTS: One or two more questions, please, about the

129

1 City Room and the deployment of paramedics or the
2 non-deployment of paramedics into the City Room.
3 You have told us about your view in relation to JOPs
4 and the zone. You have told us about your view
5 in relation to the numbers that were there and could
6 have been there at that time.
7 I'm going to ask you now, please, about, really
8 hypothetically, had there been more there and had they
9 been able to deploy into the City Room, what is the
10 actual treatment? Because we have heard the phrase
11 treatment a number of times. What treatment can and
12 should be done within that environment?
13 A. The treatment afforded to patients should be of
14 a minimum nature, really, just life-saving, arrest of
15 haemorrhage, make sure that the airway is protected, and
16 then it should be removal to somewhere safe where they
17 can carry out, whether that be a CCS or CCP, where
18 further definitive treatment can be given. I think
19 that's quite clear in terms of triage, sort and sieve.
20 The sort element is where you do just a rapid element of
21 treatment, just so the patient survives, and get them to
22 a place of safety where you can -- and a more clinically
23 appropriate place where you can deliver more care.
24 Q. Safe for whom?
25 A. For the patient and for the responders.

130

1 Q. You told us earlier about the need to keep the kit
2 that is being used, by which I mean the medical
3 equipment that is being used on a particular patient,
4 the need to keep that sterile.
5 A. Yes. There's obviously, listening to the evidence
6 that's been provided, a lot of talk about giving pain
7 relief. That's normally given intravenously, so you
8 have to insert needles into a patient, they need to be
9 sterile, you don't want them being contaminated with
10 things, so that would need to be in a more sterile area,
11 I'm not saying you'd ever get anywhere totally
12 appropriate for it but there would be a better area to
13 do that.
14 Q. Mr Blezard, is it possible to move a tiny bit closer?
15 I am sure it is just me, but I'm struggling a little
16 bit. Thank you.
17 I'd like to turn now, please, to the equipment that
18 was at scene. I think you've accepted, made concessions
19 in relation to the NCMCV. I want to ask you about the
20 equipment that was on the HART vehicles that was brought
21 to scene and which is, as I understand it, the vehicle
22 and the equipment which necessitated two of HART part 2
23 going back to their base to pick up that kit and
24 vehicle. Right?
25 A. Yes.

131

1 Q. On that vehicle, you told us that there was something
2 called a mass oxygen delivery system known, as if one
3 needed another acronym, as MODS.
4 A. That's correct.
5 Q. Right. You told us also about the cubes, the red and
6 blue cubes that are contained on that vehicle. What
7 I would like you to do, please, for the benefit of those
8 who are listening and plainly take an interest in this,
9 to explain, first of all, in relation to the mass oxygen
10 delivery system why that was important and what it
11 enabled to happen.
12 A. So the mass oxygen delivery system is a piece of
13 apparatus, quite substantial in weight in terms of...
14 I'm trying to... about 25 stone potentially. This is
15 quite significant. It has 4 or 6 really large oxygen
16 cylinders on it. Then it has some sort of valve system
17 that operates the delivery of the oxygen. What is then
18 plugged into it I can only describe as tentacles which
19 are just long arms where you can deliver oxygen to
20 multiple patients. Each arm can deliver oxygen up to
21 12 patients and I think there are four arms, so it is
22 a maximum of 48 patients.
23 The significance of that is that patients who are
24 haemorrhaging, have got severe blood loss, one of ways
25 of treating it other than replacing the fluids that

132

1 they're losing is to give them oxygen because oxygen is
 2 important in terms of survival. So if you have a lack
 3 of blood to try and compensate you oxygenate the blood
 4 that's already there.
 5 Q. Right. So it isn't simply a question of stemming the
 6 bleeding, my phrase I'm afraid, but it's also a question
 7 of getting oxygen into that patient?
 8 A. It is, yes. So the preferred method is obviously to
 9 stop the haemorrhage, then if you can replace the fluids
 10 through fluid therapy then we can do that.
 11 Q. Yes.
 12 A. But also while you're doing that to compensate with
 13 oxygen to help lessen the work rate of the heart.
 14 Q. What difference does that oxygen make in stark terms to
 15 the patient?
 16 A. Ultimately, patients need oxygen to survive. If there's
 17 lack of oxygen to the brain they become what's termed
 18 hypoxic, patients becomes combative, disorientated. So
 19 delivering oxygen helps to deliver that patient, make
 20 them calmer, because the brain gets oxygenated. But
 21 again it compensates, so essentially it will keep the
 22 patient alive.
 23 Q. You have told us about the weight of that machine. Is
 24 it carried in or is it wheeled in?
 25 A. It's on a -- it's on wheels and it's carried on

133

1 a vehicle with a tail lift. It's not something you can
 2 lift down. It's quite substantial and it is not a case
 3 of switching it on and then it just operates, there's
 4 a number of valves and things that you need to do and
 5 alarm systems. It's not something that you could go and
 6 utilise without having any prior knowledge. Obviously,
 7 HART are well trained and rehearsed in dealing with this
 8 piece of kit and that's why it was appropriate for them
 9 to deal with that specific task.
 10 Q. Just following on from that, was it used?
 11 A. Yes. I've reviewed CCTV footage -- so where the
 12 casualty clearing station was set up, there were some
 13 mats put out, red and amber mats, for the patients for
 14 the P1 and P2 patients and it is only a very brief
 15 CCTV -- it was a body-worn camera because there's no
 16 actual fixed CCTV, but you can see them rolling the
 17 equipment out and we do know that a number of severely
 18 patients were treated on the mats there, so it was
 19 utilised.
 20 Q. Right. And the kind of kit that, as you say, is capable
 21 of treating up to 48 patients?
 22 A. Yes.
 23 Q. Is it equipment that can be activated and operated by
 24 non-specialist paramedics, ordinary paramedics, as
 25 they're sometimes referred to?

134

1 A. Your everyday paramedic wouldn't be able to operate that
 2 kit, no.
 3 SIR JOHN SAUNDERS: They wouldn't be able to administer
 4 oxygen with it?
 5 A. No, they wouldn't be able to -- once it's set up they
 6 can do --
 7 SIR JOHN SAUNDERS: So the setting-up needs someone with
 8 particular skills for setting it up?
 9 A. Yes.
 10 SIR JOHN SAUNDERS: But once it's there, the administering
 11 of the oxygen can be done by any paramedic?
 12 A. I would think so. It's just a line what you fix into it
 13 and give oxygen from.
 14 MS ROBERTS: Thank you.
 15 I'm going to ask you now, please, about the cubes.
 16 What did those cubes contain at the time?
 17 A. So on that vehicle there were four cubes, two were
 18 green, two were red bags. The red bags carry equipment
 19 for mass casualties, so it'll be tourniquets,
 20 haemostatic dressings, a number of things to deal with
 21 mass casualty incidents. The other two would have been
 22 -- the blue bags were for decontamination, so if it was
 23 a chemical incident they would be contaminated --
 24 SIR JOHN SAUNDERS: So we're not concerned with that one --
 25 A. No.

135

1 SIR JOHN SAUNDERS: -- so we can stick with the red bag.
 2 A. We have reviewed the CCTV footage again and both the red
 3 bags were deployed and the element that I have seen,
 4 one's actually open and being used, the other is ready
 5 to be used.
 6 MS ROBERTS: Those are the ones on this HART vehicle that
 7 you have told us about?
 8 A. Yes.
 9 Q. Again, people might want to know why couldn't an
 10 ordinary paramedic (a) get these cubes and (b) use the
 11 equipment that was within them?
 12 A. Ultimately, the kit could have been used by any
 13 paramedic. Everyday operational staff wouldn't be aware
 14 of them and they wouldn't be aware of the colour
 15 difference. So in terms of the HART operatives taking
 16 them off the vehicle, because it wasn't -- the vehicle
 17 was a temporary -- a vehicle being used temporarily
 18 because it was for the vehicle that was off the road,
 19 they were put in cages and secured in the back of the
 20 vehicle in an unusual fashion that we wouldn't normally
 21 deploy. So they would need HART operatives to
 22 understand that and understand which are the appropriate
 23 bags to be deployed.
 24 Q. All right. You've been asked a series of questions
 25 about the deployment or the failure to deploy the second

136

1 part of that HART team, the first HART team that arrived
 2 from the other side of Stockport. Again, have you had
 3 the opportunity to review what footage there is of the
 4 actions undertaken by those other members of the
 5 HART team?
 6 A. Yes, I've looked at all three individuals of the second
 7 half of the HART team. Almost immediately some of them
 8 are engaged in life-saving interventions for patients --
 9 and I mean within seconds of arriving, patients are
 10 being brought out down to the CCS, placed on the floor,
 11 almost at the feet of the HART operatives as they
 12 arrive, so they've engaged in that treatment
 13 straightaway. Some of these patients have been brought
 14 down by the police or bystanders with no medical care,
 15 they've just been brought down. That would have been
 16 the first intervention after being in the City Room.
 17 SIR JOHN SAUNDERS: Let's just stop there immediately and
 18 say: was that a sensible use of a HART operative's time?
 19 A. Having looked at the timeline of where people were at
 20 that time, there weren't a vast amount of, for want of
 21 a better word, ordinary paramedics to deliver that care.
 22 HART paramedics are extremely well trained and well
 23 rehearsed in delivering trauma -- dealing with trauma
 24 patients. I'm not saying they are better than ordinary
 25 paramedics but they are much better trained and drilled

137

1 in that so I think, yes, if it saves a life it is a good
 2 use of that --
 3 SIR JOHN SAUNDERS: I'm not disputing that, but as you will
 4 be aware they can work in a warm zone, the others can't,
 5 so hopefully you get the HART operatives working in the
 6 warm zone and where someone could be treated in a cold
 7 zone, or whatever it was being called, then you would
 8 get an ordinary paramedic.
 9 A. Yes. I take the point, they could have been utilised
 10 elsewhere, but what they were doing was dealing with
 11 critically ill patients.
 12 SIR JOHN SAUNDERS: I'm not suggesting for a moment that
 13 they're not doing their absolute best to save lives. It
 14 is just whether it was the most sensible -- not perhaps
 15 by them but somebody in charge should have been saying,
 16 "You're up there".
 17 A. I think in the very initial phases, this was before --
 18 this is when literally they've got out of the vehicle
 19 and it happened. There was no conscious decision, these
 20 patients were presented to them almost immediately. So
 21 I don't think it was just a knee-jerk reaction, for want
 22 of a better word, but I take it that later on a more
 23 informed decision could have been made about the
 24 utilisation.
 25 MS ROBERTS: Thank you. Could we have on the screen the

138

1 location of patients at scene, {INQ041991/1}.
 2 You've been asked about this document, Mr Blezard.
 3 You have said in your statement that the collation of
 4 the information into this chart is by means of
 5 information, exhibits and so forth that have already
 6 been supplied to the inquiry.
 7 A. Yes.
 8 Q. You've been asked about the start time of 23.22. I'm
 9 going to refer to another document in a moment or so.
 10 Is it your understanding that 23.22 was selected because
 11 at 23.21.55, video footage captures:
 12 "Nick Priest and Stephen English walking over to
 13 meet with Simon Beswick and Ian Devine (stationary) on
 14 the road outside the war memorial entrance"?
 15 In other words, those four individuals are captured
 16 together for the first time just shy of 23.22?
 17 A. Yes, that was the first opportunity that they were
 18 sighted, yes.
 19 Q. And just looking at that document, therefore we can see
 20 that at 23.22, with those four downstairs, and the two
 21 HART operatives in the City Room, there were 18 either
 22 P1 or P2 within the City Room and, at the same time,
 23 there were 16 either P1 or P2 within the CCS.
 24 A. Yes, that's correct.
 25 Q. Moving through that document, we can see that, for

139

1 obvious reasons, the numbers on one side of the document
 2 diminish as the numbers on the other side of the
 3 document go up as those patients were extricated from
 4 the City Room. You've been asked about why the time of
 5 23.22 was chosen when Mr Devine arrived at scene at
 6 23.14.
 7 Could we just look, please, at the HART timeline,
 8 which is {INQ040616/5}.
 9 Three boxes down, we've got Mr Devine arriving at
 10 scene at 23.14.52. He is at the bottom of Hunts Bank
 11 and it says this:
 12 "... and puts on ballistic kit before walking
 13 towards Victoria Station Approach. His next sighting is
 14 outside Victoria Station at 23.21.55."
 15 Just pausing there, there is, I suppose, an argument
 16 for saying that (1), he may have chosen not to put on
 17 his ballistic kit because my recollection of the
 18 evidence of Lea Vaughan and Chris Hargreaves is they
 19 didn't, they went straight in, and (2), we don't know
 20 precisely at this stage what was happening between
 21 23.14.52, allowing for some time to get his ballistic
 22 kit on, and his being captured shortly before 23.22 with
 23 his colleagues outside the war memorial entrance.
 24 So that's Mr Devine. Just moving down that
 25 particular chart, at some point, as I say at 23.15.10,

140

1 we have Lea Vaughan and Chris Hargreaves going into the
2 City Room, dealing with Paddy Ennis, and thereafter,
3 within a few seconds or so, beginning their forward
4 triage.

5 It's not until 23.18 that Mr Priest arrives at scene
6 and at 23.21 we've got Nick Priest and Stephen English
7 walking up to Hunts Bank approximately 200 to 300 yards
8 away and thereafter, the box below that, them being
9 captured on the footage. Let's wind back if we can just
10 to take 23.14. Allowing some time, as I think
11 realistically we must, for Mr Devine, had he chosen not
12 to put on his ballistic kit but walked up from the
13 bottom of Hunts Bank to Victoria Station, had he gone
14 into the City Room at that stage, being realistic,
15 allowing him 2 minutes or so to get into the City Room,
16 at least, that would take the time to about 23.16.52.

17 Sir, I don't think we need the CCS map and key on
18 the screen. For those who want a reference it's
19 {INQ041267/1}. But at 23.16, is it right that at that
20 stage, there were in the CCS 10 P1 and P2 patients?
21 Do you have the CCS map and key with you as a paper
22 document or not?

23 A. I have somewhere, but yes.

24 Q. If I am wrong about that, I will be corrected. But at
25 23.16, as I say, 10 P1 and P2 patients, and we know the

141

1 number of P1 and P2 at the 23.22 position.

2 That can come down from the screen, thank you,
3 Mr Lopez.

4 SIR JOHN SAUNDERS: Just before we go, I just want to look
5 at the position of Simon Beswick. He's the team leader.
6 I think you've accepted that ideally he would have been
7 up there as a sector commander. Is there any reason,
8 particular reason, to do with how NWS should operate
9 for him not going up with the other two?

10 A. So, and I'm only second—guessing his thought process, he
11 may have been thinking, "I need to brief the second half
12 of the team when they get here and deploy them". I know
13 that can be done via the radio, but sometimes when
14 you're asking people to do some difficult tasks —

15 SIR JOHN SAUNDERS: I'm not actually asking you to
16 second—guess him; we have had his evidence anyway. I'm
17 just asking: is there any reason within how NWS would
18 expect people to operate to prevent him from going up
19 with the other two? Is he told: you must remain
20 downstairs for the rest of your team to come?

21 A. No, I think it was a decision he's made. I don't think
22 it's outwith the procedures. Often HART will deploy
23 HART teams and the team leader on certain scenarios will
24 stay out away from scene, particularly if they are using
25 extended breathing apparatus and things like that, so

142

1 it's not unusual for the team leader not to deploy.

2 Funnily enough, in preparation for this, I spoke to
3 a number of team leaders, some said they would deploy,
4 some said they wouldn't deploy. It was down to
5 a personal view on whether they felt adequately briefed
6 on what was going on. Some would say, "I'd go up there
7 and have a look at what we are dealing with", and some
8 would say, "I'm quite happy", and work from there. So
9 it was very much a mixed approach by the team leaders.

10 SIR JOHN SAUNDERS: Thank you.

11 MS ROBERTS: I want to just ask you a question, we don't
12 need to look at it now, but it's in relation to the
13 graph that's been —

14 SIR JOHN SAUNDERS: It can come down now.

15 MS ROBERTS: The reference, sir, is {INQ041992/1} and it
16 shows the arrival of the ambulances at scene, by which
17 we mean Hunts Bank, I think it's at 10—minute intervals.
18 You were asked a series of questions, quite
19 understandably, about why it was, when those vehicles
20 had arrived, deploying the paramedics or the paramedics
21 entering the building of their own volition, as it were,
22 that appears on the face of it to have left a gap. So
23 you've got the paramedics treating the patients as they
24 are coming down from the City Room, you've got the
25 ambulances outside and there's a need to get the

143

1 patients to hospital. I just want you to help us
2 understand why that didn't happen immediately.

3 A. So there's an awful lot of patient assessment needs to
4 take place. There may be — they would have had a very
5 brief assessment up in the City Room and it would be
6 a quick head to toe, and then when they're brought down
7 they need to have a more thorough examination. So with
8 that, there would be — and you'll have seen them
9 pulling people's clothes off, examining, treatment may
10 be applied. Some of the resources that arrived were
11 given other functional roles, so two of the teams were
12 utilised for doing triage in the CCS.

13 So there's a certain amount of time spent dealing
14 with the patients themselves, making sure that they're
15 being appropriately assessed. Very early on there was
16 not enough paramedics or more patients than paramedics,
17 so they were utilising the police and whoever they could
18 do, so there would be an element of them trying to
19 coordinate that response as well, making sure, "Are you
20 okay with that patient? Do you need anything?" There's
21 a number of things where their crews who were dealing
22 with that weren't in a position to pick a patient and
23 go — one, because that needs to be coordinated and we
24 need to make sure we have our log of these patients,
25 have they gone to the appropriate place, but we need to

144

1 make sure that — crews would automatically just pick
 2 the patient up and go to the nearest A&E and we need to
 3 make sure that not everybody goes to the nearest A&E,
 4 you may actually want to bypass somewhere and go to a
 5 further one if that's the most appropriate case. So
 6 it's about stabilising patients.

7 SIR JOHN SAUNDERS: I really readily understand all that.
 8 It's just looking at it from the other side of it,
 9 you've got this row of empty ambulances unable to take
 10 people away from the scene, and we had this from the
 11 people on — they were saying we couldn't send them
 12 there because we had to wait for more ambulances to come
 13 before anyone could use an ambulance to take them away
 14 because you couldn't use the ones that were sitting
 15 there. And we know Monday night is a busy night so it
 16 took time to get more ambulances around and it's really
 17 saying: are you satisfied that there actually was no
 18 better way of organising this to get people away
 19 quicker?

20 A. I think if there was a very straightforward simple
 21 solution we would have done it. The vehicles that were
 22 left outside, the vast majority of them would have had
 23 all the kit removed (inaudible). But some of the
 24 patients that were being transported would have needed
 25 continuing treatment and that wouldn't have been

145

1 available because the kit is inside with other patients.
 2 Having more vehicles, fully kitted vehicles, makes that
 3 a little bit easier. But I fully accept, from
 4 a patient's perspective, any delay is unacceptable.

5 SIR JOHN SAUNDERS: Well, I'm just saying from an
 6 objective — I am saying to you really, if this were to
 7 happen again, heaven forbid obviously, would the same
 8 delay occur?

9 A. Potentially, because the resources aren't available.

10 SIR JOHN SAUNDERS: Thank you.

11 MS ROBERTS: What's the answer? Is there one?

12 A. Obviously, having more resources available in the first
 13 place. Ambulance services are stretched, we work on
 14 a prioritisation system, some patients are continually
 15 waiting until we get a quieter period where we can deal
 16 with them but that's why the calls are graded from, at
 17 that point in time, red 1, red 2 and green 1 to 4.
 18 There's new systems in place, but the system is designed
 19 that patients do wait because there is — the demand
 20 sometimes exceeds the resources.




21 Q. Again just so we can be clear about this, it may already
 22 be apparent to everybody, but when the ambulance sets
 23 off, so once a patient has been loaded on to the
 24 ambulance and it sets off for hospital, where do the two
 25 paramedics sit? Obviously one's driving. Where is the

146

1 other one?

2 A. So the second one would be in the back delivering care.
 3 But it's not just a case of driving a vehicle —

4 Q. No, I understand.

5 A. — it's quite a — notifying the hospital — there's
 6 quite a sophisticated computer system in there and if
 7 you don't know how to actually start a vehicle
 8 
 9 
 10 
 11 They are — this is what I was trying to
 12 explain earlier, probably clumsily, but driving an
 13 ambulance isn't the same as driving a van.

14 SIR JOHN SAUNDERS: No, I do understand it.

15 A. But the paramedic in the back will be delivering
 16 continual care en route to hospital.

17 MS ROBERTS: So even if there were a way of solving who
 18 drives the vehicle and having people have a general
 19 understanding of how the ambulance works, which is, with
 20 great respect, perhaps not beyond the wit of man and not
 21 beyond the wit of other emergency responders, in terms
 22 of providing that care within the back of the ambulance
 23 so there isn't, for example, a deterioration of the
 24 patient, that has to be delivered by a paramedic, does
 25 it?

147

1 A. Ideally, yes, specifically if they're trauma-related
 2 cases where we can —

3 Q. Thank you. You have dealt with the mass casualty
 4 distribution plan. Can I just ask you about
 5 self-deployment. I think in answer to one of
 6 Ms Cartwright's questions you agreed that Dan Smith had
 7 self-deployed. Did he self-deploy?

8 A. No, I apologise for that. He was requested to attend by
 9 the tactical commander.

10 Q. And did so?

11 A. Yes.

12 Q. Thank you. I think it was suggested to you by Mr Gozem
 13 that the call from Ron Blake at 22.31 had come in to
 14 you, that is you organisational you, namely NWS.
 15 That's not in fact correct. It was GMP who got the
 16 call. The reference is {INQ023493/19}.

17 SIR JOHN SAUNDERS: I'm aware that's entirely correct. It's
 18 an unfortunate mistake to be made. You actually agreed
 19 with it, which is perhaps doubly unfortunate! But it is
 20 all right.

21 A. Just as I heard it, I wish I had done, but yes, you're
 22 quite right.

23 SIR JOHN SAUNDERS: Don't worry, it's all right.

24 MS ROBERTS: Just finally, this, if I may. I've been asked
 25 to cover this with you by those representing the

148

1 families and it's this: to have a better understanding,
 2 if we can, about the covering of patients within the
 3 City Room. We've heard quite a bit of evidence about
 4 that and you'll recall some of it I'm sure, if not all
 5 of it.
 6 Did this, that's the police covering, not
 7 necessarily just the police but anyway the covering of
 8 patients thought then to be deceased within the
 9 City Room -- did that affect or might it have affected
 10 the NWS triage process?
 11 A. It shouldn't do. It's quite specific within the plan
 12 that when you are triaging, going round the scene,
 13 patients that are perceived to be deceased should be
 14 triaged in process. So it shouldn't have done. I don't
 15 know if it did on the evening or not, but it shouldn't
 16 do. It's quite clear, that.
 17 MS ROBERTS: Right. I'm going to leave that for chapter 12,
 18 sir, in those circumstances. Thank you very much.
 19 SIR JOHN SAUNDERS: Thank you.
 20 Further questions from MS CARTWRIGHT
 21 MS CARTWRIGHT: Just one additional question, please. We've
 22 dealt with the lost opportunity, if we can call it that,
 23 of Greater Manchester Fire and Rescue Service to assist
 24 in the extrication of casualties, but it's right, isn't
 25 it, that at this time there was a partnership in place

1 between NWS and Greater Manchester Fire and Rescue
 2 Service by reference to cardiac arrest calls?
 3 A. I think at that point in time it may have stopped.
 4 Q. Whether it --
 5 A. There certainly was an arrangement.
 6 Q. So there had been an arrangement. So if a cardiac
 7 arrest call came in and it was quicker for the Fire and
 8 Rescue Service to respond, because it was acknowledged
 9 that Greater Manchester Fire and Rescue Service had
 10 trauma trained firefighters as well as trauma
 11 technicians, they also had skills to assist in that sort
 12 of patient treatment?
 13 A. Yes.
 14 Q. And in addition, they obviously had the training that
 15 they'd had through NWS in respect of the SRT?
 16 A. Yes.
 17 Q. So would it be fair to say that had there been a proper
 18 consideration of METHANE in the absence of the
 19 Greater Manchester Fire and Rescue Service, the Fire
 20 Service had a real role to play in assisting also in
 21 patient and casualty treatment at the scene, bearing in
 22 mind the broad range of skills that firefighters have?
 23 A. I certainly undoubtedly think that had the Fire Service
 24 attended, it would have enhanced the response in
 25 a number of ways in terms of extrication of patients

1 into the -- from the City Room into the CCS. And they
 2 could have provided and assisted in delivering care.
 3 Q. And certainly in terms of the system where HART
 4 paramedics work in pairs, the system that would have
 5 been put in place with the training was that a HART
 6 paramedic could be crewed with one of these SRT
 7 specialists, so they could be working as the pairs, so
 8 it doesn't have to be two HARTs, it could be a HART with
 9 an SRT?
 10 A. Yes, I think they are trained and certainly trained
 11 in the application of tourniquets and things like that
 12 and it would assist. I think one of the things is about
 13 triage, it says ideally it should be done in pairs, it
 14 doesn't have to be done in pairs, but ideally it would
 15 be done.
 16 MS CARTWRIGHT: Thank you.
 17 Sir, that concludes all the questions, unless
 18 you have any questions of this witness.
 19 SIR JOHN SAUNDERS: No, I don't, thank you. You have said
 20 that you have -- you have given us some already --
 21 recommendations. It would help me, if you had the time
 22 and could do this, to put your recommendations in
 23 a written form.
 24 A. Yes.
 25 SIR JOHN SAUNDERS: It's often easier to take them on board

1 that way, if that's all right.
 2 A. Certainly, yes.
 3 SIR JOHN SAUNDERS: And I'm very grateful for your evidence
 4 and obviously the care you have looked at this situation
 5 with.
 6 A. Thank you.
 7 MS CARTWRIGHT: Mr de la Poer is calling the next witness.
 8 We'll need a few moments to clear the decks. Could we
 9 ask for 5 minutes? Thank you.
 10 SIR JOHN SAUNDERS: Yes.
 11 (2.35 pm)
 12 (A short break)
 13 (2.40 pm)
 14 CHIEF SUPERINTENDENT PAUL CLEMENTS (sworn)
 15 Questions from MR DE LA POER
 16 MR DE LA POER: Please state your full name.
 17 A. Paul Clements.
 18 Q. And your rank?
 19 A. Chief superintendent.
 20 Q. Do you hold that rank within GMP?
 21 A. I do.
 22 Q. Did you join Greater Manchester Police on promotion from
 23 the Metropolitan Police Service in August 2019?
 24 A. Yes.
 25 Q. Did you join into the rank of chief superintendent?

1 A. Yes.
 2 Q. Is your current role the branch commander of the OCB?
 3 A. Yes.
 4 Q. Meaning that you have overall responsibility for the
 5 Force Operations Centre, as it is known?
 6 A. Yes.
 7 Q. And that in layman's terms, that means that you oversee
 8 the communications branch of Greater Manchester Police?
 9 A. Yes.
 10 Q. Did you take up that role when you joined in August 2019
 11 or was it after the time at which you joined that you
 12 entered that role?
 13 A. I was posted into that role at the beginning.
 14 Q. At the beginning. So you have had a period of now
 15 2 years since August 2019 to oversee some of the changes
 16 which have been made during that period?
 17 A. Yes.
 18 Q. But we, of course, remind ourselves that for the period
 19 prior to August 2019, you weren't even in fact part of
 20 GMP?
 21 A. No.
 22 Q. One of the roles within the force operations centre
 23 is that of the force duty officer ; is that correct?
 24 A. Correct.
 25 Q. And given that you are the branch commander, does that

153

1 mean that you have a particular knowledge and
 2 understanding of how that role works in practice?
 3 A. Yes.
 4 Q. And how that role has been developed to today's date to
 5 be able to respond to an incident of the type which
 6 occurred in May 2017?
 7 A. Yes.
 8 Q. What we're going to do together, please,
 9 chief superintendent, is consider a timeline of what are
 10 described as operational improvements post May 2017.
 11 Mr Lopez, the reference is {INQ041624/1}.
 12 I know this is a document with which you are very
 13 familiar, chief superintendent. We'll run through each
 14 of those entries, many will speak for themselves, but
 15 it's important given the time and effort that has been
 16 put in to make these changes that we review each of
 17 them.
 18 The first is identified as occurring in May 2017.
 19 I think we know from other evidence that that is a date
 20 in May post the attack by a couple of days. And this is
 21 the institution of what has been redacted out as
 22 operationally sensitive of a Talk Group which is
 23 multi-agency in nature and is between control rooms.
 24 Is that correct?
 25 A. That's correct.

154

1 Q. That is the same Talk Group that your colleagues,
 2 including Ms Hoyte and Ms Lewis, had been developing the
 3 agreed method of operation for in the months running up
 4 to the attack; is that correct?
 5 A. That's correct. It's probably worth saying that it's
 6 the testing of the Talk Group that commenced on the date
 7 that we're talking about. The Talk Group itself was in
 8 existence prior to the attack.
 9 Q. Yes. It had been used at a tactical or Silver commander
 10 level, is that right, previously?
 11 A. Yes.
 12 Q. And what effectively was occurring was that it was being
 13 repurposed for a control room level of communication?
 14 A. Correct.
 15 Q. And what was instituted immediately post-attack was
 16 a testing regime to make sure that all control rooms
 17 were listening; is that right?
 18 A. That's correct.
 19 Q. And agreement was reached as to the circumstances in
 20 which it would be used and how it would be used?
 21 A. That's right.
 22 Q. Item 2 on your list, concurrent in terms of the month,
 23 the Plato action cards. What it says there against that
 24 entry is:
 25 "Significant programme of work led by the specialist

155

1 operations branch to constantly review the action cards,
 2 revise them, following national policy guidance from the
 3 Home Office, NaCTSO, National Counter-terrorism Policing
 4 HQ and GMP organisational learning."
 5 They were cascaded to staff via supervisory channels
 6 and were updated on Sherlock after each iteration and
 7 the current version is May 2021. Did that process
 8 that's being spoken about there, did that begin in
 9 May 2017 so far as you're aware?
 10 A. That's my understanding, yes.
 11 Q. We know that those action cards had been created or some
 12 action cards had been created prior to the attack and
 13 distributed by email, I think the state of the evidence
 14 is, but the deputy chief constable accepted that they
 15 had not been embedded. Is that what we see here, the
 16 process of embedding them to make sure that they are in
 17 active use or under active consideration and
 18 development?
 19 A. Since I've taken up my post, there has been a sustained
 20 programme of embedding the use of the action cards and
 21 also feeding back from practitioners on the efficacy of
 22 their use.
 23 Q. I think we're going to see that at a later entry within
 24 the period of your tenure. Is this, as we see at
 25 item 2, the start of that process at least?

156

1 A. Yes.
 2 Q. A year later, May 2018, the force coordination centre,
 3 coordinating the force-wide response to demand, risk,
 4 critical incidents and vulnerability, subsequently
 5 evolved into the force operations centre with a specific
 6 focus to support the initial response to critical and
 7 major incidents. So what was occurring here in terms of
 8 practically on the ground in May 2018, as you understand
 9 it?
 10 A. As I understand it, this was a project which was to
 11 establish a force coordination centre which had a broad
 12 remit, as I've described there, responding at an
 13 organisational level to demand, risk, critical incidents
 14 and vulnerability. The mission of the force
 15 coordination centre was felt to be too broad and did not
 16 give sufficient focus on the initial support and
 17 response to major incidents, so the scope was narrowed
 18 to make sure that that particular element was
 19 prioritised.
 20 Q. And from that, did the force operations centre emerge
 21 and the other items that we are to see shortly?
 22 A. Correct.
 23 Q. October 2019, a very substantial date so far as GMP was
 24 concerned. We know that in May 2017, the force duty
 25 officer was at a different location to force HQ, which

157

1 certainly, on some of the evidence, suggested that there
 2 were difficulties. In October 2019, was that role
 3 within force HQ?
 4 A. Yes.
 5 SIR JOHN SAUNDERS: How does the force operations centre
 6 relate to the force command module? Are they different
 7 things?
 8 A. Yes, they are different.
 9 MR DE LA POER: I think we're going to come back to the
 10 force command module, as I've already indicated to you.
 11 We can see, dated September 2018, but in the
 12 chronology you may have meant 2019, I don't know, you
 13 tell me, the introduction of force critical incident
 14 managers.
 15 A. The first of the force critical incident managers was
 16 appointed in 2018. The full cadre were recruited, it
 17 did take some time, and that was completed in 2019.
 18 Q. So before the force duty officer was permanently located
 19 within force HQ, you began the process of the force
 20 critical incident manager recruitment, but it wasn't
 21 until after that relocation that the full cadre was
 22 established; is that right?
 23 A. And the force critical incident managers, when I assumed
 24 my role in GMP, came under the command of the specialist
 25 operations branch and subsequent to my taking over as

158

1 branch commander, the force critical incident managers
 2 were moved to OCB for completeness. The force
 3 operations centre, as well as being the name of a team,
 4 which I'm sure we'll get on to, as well as being
 5 a specific team, is now synonymous with the force duty
 6 officers, the assistant force duty officers, the FCIMs
 7 and the force operations centre.
 8 Q. We're going to unpick some of that because there's a lot
 9 of quite dense information there. Let's begin by just
 10 you explaining to us, please, what a force critical
 11 incident manager is. What is their role?
 12 A. The force critical incident manager, their principal
 13 role is as a tactical firearms commander, a fully
 14 accredited occupationally and operationally competent
 15 tactical firearms commander. The model is that when
 16 a spontaneous firearms incident occurs, the force duty
 17 officer will take command of the initial response to
 18 that firearms incident. The force duty officers are
 19 initial tactical firearms commander trained, which is
 20 roughly half the level of accreditation as a full
 21 tactical firearms commander, and if it becomes clear
 22 that the firearms incident is going to be a protracted
 23 incident, so for example if a firearms incident develops
 24 into an armed siege, for example, or there are a number
 25 of sites, if it is clear that it won't be resolved by an

159

1 initial deployment of authorised firearms officers,
 2 command of that firearms incident will transfer to the
 3 FCIM for them to command the full firearms incident.
 4 The other elements of their role include taking
 5 a corporate or organisational view of risk and demand
 6 across the piece. So for example, they are a decision
 7 maker around moving assets, moving units or resources
 8 from one part of the force to another, and also, whilst
 9 they are not involved in pre-planned firearms incidents,
 10 as a routine part of their duties if some intelligence
 11 that pertained to firearms incidents came in and needed
 12 to be developed with a tactical firearms commander, they
 13 would assume that role as well, the real time management
 14 of response to risk coming from intelligence for
 15 a firearms incident.
 16 SIR JOHN SAUNDERS: Can you explain to me how this differs
 17 from the tactical firearms commander that we have heard
 18 of from May 2017? So again the initial tactical
 19 firearms commander was the FDO, but the idea was that he
 20 would hand over to a tactical firearms commander in the
 21 reasonably foreseeable future as soon as possible. So
 22 how is that role of the tactical firearms commander
 23 going to differ from the force critical incident
 24 manager?
 25 A. The principal difference is that the tactical firearms

160

1 commander as part of the TFC cadre is an on-call
 2 function, so they are not co-located with the force
 3 operations centre and the force duty officer. The FCIM
 4 is co-located, which makes the transition from initial
 5 tactical firearms commander of an incident to the full
 6 tactical firearms command of the FCIM much more
 7 efficient.

8 SIR JOHN SAUNDERS: Are they on duty all the time?
 9 A. 24/7, yes.

10 SIR JOHN SAUNDERS: Right. Why is it a benefit therefore to
 11 have the FDO having the initial firearms command as
 12 opposed to the force critical incident manager?
 13 A. It's not unusual for a number of firearms incidents to
 14 occur during one shift. It is not beyond the realms of
 15 possibility to have concurrent firearms operations on an
 16 initial level. Therefore it's really important that if
 17 an incident is clear that it's going to become
 18 protracted, we move it from the initial firearms command
 19 of the FDO. It's also important to remember that whilst
 20 the FDO post has been significantly supported by the
 21 introduction of the assistant FDO, there are a number of
 22 high-risk operational incidents that could be going on
 23 at that time that the FDO would still be dealing with at
 24 that point.
 25 So the FCIM gives an extra level of support by

161

1 taking away protracted incidents from the FDO in
 2 a really efficient way because they're co-located.

3 MR DE LA POER: If we look at the factors there were in
 4 May 2017, the on-call TFC was Chief Inspector Buckle.
 5 She had to travel in, she reached force HQ, my
 6 recollection fails me, but it would be within 10 minutes
 7 of 11.30. She then didn't take up the role and it
 8 wasn't until after midnight that Superintendent Thompson
 9 took up the role of TFC. Under the current model would
 10 that transfer of responsibility so far as firearms is
 11 concerned have occurred much quicker?
 12 A. Yes.
 13 Q. And they are, as I have seen the diagram, I think I've
 14 interpreted it correctly, just desks away, these two
 15 roles?
 16 A. That's right, correct.
 17 Q. That's the force critical incident manager. Then we
 18 come to the force operations centre, which is a new
 19 term, if I've understood it correctly, that GMP has to
 20 describe this emerging unit that is being developed as
 21 at June 2020; is that right?
 22 A. Yes, that's right.
 23 Q. That force operations centre includes, as you've told
 24 us, the force duty officer, the FCIM, force critical
 25 incident manager. Does it also include a team of radio

162

1 operators?
 2 A. Yes.
 3 Q. What is their function within it?
 4 A. So initially, when we were replacing the force
 5 coordination centre with the force operations centre, it
 6 was important to draw a line between the roles and
 7 responsibilities of a force coordination centre and
 8 that's why I was really clear that I wanted a new name
 9 as well. So branding internally is really important to
 10 get across the new roles and responsibilities.
 11 As we've evolved as the force operations centre,
 12 initially the force operations centre was that
 13 inspector, the sergeant and the PCs providing that
 14 secretariat function, that support function. As we've
 15 evolved, it's become synonymous with the broader
 16 operational response, so including the FDO, the FCIMs,
 17 the assistant FDOs, the radio channels, as we said. So
 18 the radio channels being the force-wide channels there,
 19 so the radio operators that don't focus specifically on
 20 the events in a particular district on a particular
 21 radio channel, but they deal with force-wide resources
 22 such as dogs, the dogs unit for example, or they deal
 23 with force-wide capabilities such as the automatic
 24 number plate recognition system.
 25 Q. That means that the FDO, or whoever within that team is

163

1 wishing to develop something operationally, will have
 2 access to that information a desk away?
 3 A. One desk away, yes.
 4 Q. You have mentioned this already and it occurred just
 5 a month later. The assistant force duty officer came
 6 into being in July 2020; is that right?
 7 A. Correct, yes.
 8 Q. And that is at inspector rank?
 9 A. Yes.
 10 Q. We know from the evidence of, as he is now,
 11 Chief Inspector Sexton, that he was an inspector when he
 12 undertook the FDO role. Is it still the case, that is
 13 to say in September 2021, that the FDO is an inspector
 14 or do they need to be a more senior rank?
 15 A. With the introduction of the assistant force duty
 16 officers in summer 2020, the training that assistant
 17 force duty officers go through is the same as the force
 18 duty officer with regard to managing risk and demand in
 19 particular incidents, with the exception of the initial
 20 tactical firearms command. It was felt that because of
 21 the extra risk, the extra training and accreditation
 22 that was required from the FDO role, that a difference
 23 in rank was reasonable. And also, the assistant force
 24 duty officer, although they take control of their own
 25 incidents, high-risk missing people for example, the

164

1 force duty officer remains the senior officer in charge
 2 of that function. So it's on that basis, on that two
 3 points there, that we decided, the force decided that
 4 a chief inspector rank for force duty officers was more
 5 appropriate.
 6 Q. Just completing the timeline before coming back to one
 7 or two of these matters, the Plato action cards
 8 simulation test, you have already touched upon this,
 9 this was an innovation particular to you, I think
 10 you have told us, August 202. What the text there tells
 11 us is that that's when it went live and it is currently
 12 triggered four times a week.
 13 A. Correct.
 14 Q. I would like to just pause here and just invite you,
 15 please, to consider your witness statement and, in
 16 particular, paragraph 17. It'd be easier if we just
 17 summarise each of these because a very substantial issue
 18 within the inquiry's investigation is whether or not the
 19 force duty officer became overwhelmed, overburdened, in
 20 some form or other, whether or not they should have been
 21 operating to action cards, whether those action cards
 22 that were in place would have been adequate in terms of
 23 the burden that they placed upon the force duty officer,
 24 and I know that you are aware of all of those issues
 25 having emerged.

165

1 Please just talk us through, by reference to
 2 paragraph 17, the developments that there have been
 3 in the Plato action cards, in particular in relation to
 4 how they may address those particular concerns in this
 5 inquiry.
 6 A. I guess the overarching comment that I would like around
 7 the action cards is that they are living documents, so
 8 they pertain to OCB's response to a marauding terrorist
 9 attack and we are currently on version 1.10, which means
 10 there have been nine previous versions. So there is
 11 a programme of review, a constantly programme of review,
 12 and iteration of improvements, both emanating from the
 13 testing that we've put in place, the feedback from
 14 practitioners, users of the cards, and also updated with
 15 changes in national guidance as well.
 16 So there was already a process of work underway when
 17 I arrived at GMP, which is led by the specialist
 18 operations branch, which are the owners of the action
 19 cards, being the owners of the Op Plato plan. That work
 20 was relatively mature by the time I came in terms of
 21 looking at the balance of actions which would be
 22 required in the event of an attack for different roles.
 23 Now, clearly, as we've put in more roles, so the
 24 force critical incident manager and the assistant force
 25 duty officer, there has been more flexibility to share

166

1 out the roles at a more appropriate level. One of the
 2 key differences, I understand, from where we were
 3 previous to my service at GMP is that the FDO's
 4 responsibilities have contracted and there are fewer of
 5 them in number and they are the more important of the
 6 actions. The force has been really careful to make sure
 7 that there is a specific requirement for the declaration
 8 of major incidents alongside Operation Plato.
 9 SIR JOHN SAUNDERS: Wasn't that the position before?
 10 A. I think what has been put into the action cards is
 11 a specific action, not only to keep that under review
 12 but also to communicate it and how to communicate it and
 13 who to communicate it to other agencies as well.
 14 I don't know whether we'll get on to the cards, but the
 15 broadcast of Operation Plato, a METHANE message, for
 16 example, is an assistant FDO responsibility using the
 17 regional Talk Group to the other control rooms in the
 18 region. So that stipulation, that prescription is a new
 19 prescription subsequent to the attack.
 20 MR DE LA POER: I should just indicate that I'm not
 21 proposing to take you to the detailed of the cards, so
 22 if there's something from within them that you want to
 23 speak to, please don't work on the assumption that we're
 24 going to look at them. What really I'm seeking to
 25 capture from you, and I may well have achieved that —

167

1 I don't know, you'll tell me — is just reassurance for
 2 the public watching this, for the bereaved families and
 3 anyone else with an interest in our process, that GMP
 4 has identified issues which have emerged with clarity in
 5 our process and have taken active steps to address them.
 6 Do you feel you are able to give that reassurance?
 7 A. I do.
 8 SIR JOHN SAUNDERS: I want to look at (c). There's been
 9 a lot of discussion about — just let me read (c) out so
 10 everyone knows what I'm talking about:
 11 "A reminder for the FDO to keep the Plato
 12 declaration under review and rescind the declaration if
 13 it becomes apparent that the Plato criteria are not in
 14 fact met. The FDO card also states that the fact that
 15 Plato has been rescinded must be shared with all
 16 relevant agencies."
 17 We've obviously had a significant amount of
 18 discussion about that during the inquiry. What has
 19 struck me, and this may be incorrect and obviously I'll
 20 be persuaded by argument, is that when Plato is declared
 21 then you'll be talking about a largish area. If
 22 you have a terrorist attack in Manchester, wherever the
 23 terrorist bombing happens to be located, the Plato is
 24 likely to be the whole of Manchester because there could
 25 be follow-up attacks.

168

1 So it's not so much necessarily that you need to
 2 keep looking at rescinding Plato because it may be that
 3 the threat is still there, whereas the threat has been
 4 removed from the individual place where it happened, the
 5 bombing happened, so in this particular case, so the
 6 bombing happens at the arena, armed police go in very
 7 quickly and they clear the scene and effectively, there
 8 may have been faults in how this was done, effectively
 9 declare it to be safe.

10 That doesn't mean, or does it, tell me, sorry --
 11 some people have said you now rescind Plato but the
 12 threat may well and was likely to still exist in other
 13 parts of Manchester. So it's really to do, not so much
 14 with rescinding Plato, it's actually the zoning, which
 15 is vital.

16 I just wonder (a) if you agree with that analysis
 17 and (b) whether your action cards have enough analysis
 18 on that basis that really the critical thing is zoning.
 19 But please say if you disagree with that.

20 A. So the detail of the force-wide response to an
 21 Operation Plato, including zoning and whether the
 22 conditions for Plato are met, are not my primary,
 23 principal area of expertise.

24 SIR JOHN SAUNDERS: Okay.

25 A. The policy and the protocols are owned by the special

169

1 operations branch, as are indeed the action cards. I do
 2 have, obviously, an interest in the action cards and
 3 I have a responsibility to make sure that, from an OCB
 4 perspective, from my own branch's perspective, they are
 5 set out in as clear a way as possible.

6 I do take your point around the importance of the
 7 zoning -- and the zoning and whether a zone area is
 8 classified as hot, warm or cold is a responsibility --
 9 a multi-agency responsibility, in fact, which would in
 10 practice be coordinated by operational commanders on the
 11 scene in consultation with the control room.

12 SIR JOHN SAUNDERS: And the FDO's responsibility to declare
 13 zoning?

14 A. The action cards say that, if practical, the force duty
 15 officer should have an initial view on setting the
 16 zones, which is important because the forward command
 17 point and the rendezvous point would be set as early as
 18 practicable.

19 SIR JOHN SAUNDERS: Somebody has to do the first one,
 20 haven't they?

21 A. Yes, but the detailed information about where those
 22 zones or the status of those zones I would expect the
 23 ground-assigned TFC, in collaboration with the other
 24 agencies responding, to make that decision on the
 25 ground.

170

1 SIR JOHN SAUNDERS: Okay. We will be hearing more about it
 2 in due course from the police experts when we can
 3 discuss it further. Thank you anyway for that.

4 MR DE LA POER: I'm going to move on from the Plato action
 5 cards and just complete the remaining three items on our
 6 timeline.

7 Plato learning package. Can I just be clear, who
 8 is that Plato learning package for? Is it for people
 9 within your branch or is it force-wide?

10 A. This is specifically for OCB staff.

11 Q. So this is to ensure that people who perhaps were in
 12 Mr Myerscough's position, namely somebody who got drawn
 13 into answering a telephone line because (inaudible:
 14 distorted) they were needed, they would have a proper
 15 understanding of Plato should they find themselves
 16 having such a conversation?

17 A. Yes. It's to make sure that everybody who is on
 18 operational duty in OCB, in whatever role they find
 19 themselves, is familiar with the existence of the action
 20 cards, knows how to access their action card, and knows
 21 how to fulfil the requirements of their role as set out
 22 in the action card.

23 Q. Back to Talk Groups. The regional multi-agency control
 24 room Talk Group. How does this differ from the first
 25 Talk Group that we spoke about and what is its value?

171

1 A. This is a Talk Group with many more participants than
 2 the original Talk Group. The original Talk Group is
 3 a tri-service Talk Group with GMP, GMFRS and the control
 4 room for Fire and Rescue and also North West Ambulance
 5 Service. This regional multi-agency control group has
 6 those participants, but in addition other police forces,
 7 Cheshire, Lancashire, Merseyside, for example, and their
 8 control rooms.

9 Q. You've already mentioned that that is on -- the use of
 10 that Talk Group appears on the current iteration of an
 11 action card. What is the value of being able to use
 12 that?

13 A. Well, if we imagine the type of incident that we're
 14 talking about, a major incident, it's likely that
 15 resources would be pooled or would be requested from
 16 different police forces, for example, potentially
 17 different Fire and Rescue Services as well. So what
 18 happened is, and this is consistent with the JESIP
 19 principles, is that there is a shared understanding of
 20 what the incident is and what the key developments are.
 21 So for example, I would expect the circumstances of the
 22 incident, as well as the METHANE message, to be
 23 broadcast on that so that all regional partners had
 24 a shared awareness of what the incident was and any
 25 likely impact on them.

172

1 Q. Some may think that you've set out a compelling
 2 justification for the existence of such a Talk Group.
 3 But if that is right, why did it take until
 4 September 2020 for it to come into being?
 5 A. My understanding is that the development and the
 6 evolution of this regional multi-agency control room
 7 Talk Group is a national initiative that was set
 8 nationally and each region responded accordingly.
 9 Q. And does September 2020 represent the time at which the
 10 region, which includes GMP, had reached the stage where
 11 each agency was taking a turn per month leading the
 12 test, and we can see when you are scheduled to lead the
 13 test?
 14 A. Correct.
 15 Q. Finally, the dedicated media line. We can see the month
 16 given there, May 2021, and the establishment of a new
 17 media line number direct to the FOC out of hours and
 18 a memorandum of understanding between GMP and the media.
 19 I would just like to bring up some transcript,
 20 please, Mr Lopez. It's the transcript for Day 97, which
 21 is 5 May 2021.
 22 Chief superintendent, you will not have failed to
 23 notice the date I have just given and the fact that it
 24 matches the date you have given in your timeline.
 25 Could we go to page 9 in that transcript and line 9

1 {Day97/9:9}? We'll just remind ourselves of what was
 2 said on 5 May. This is the evidence of, as he was
 3 at the time, Chief Inspector Dale Sexton, the FDO on the
 4 night.
 5 We can see at the beginning of Mr Greaney's question
 6 at page 9, line 9, but at 17 {Day97/9:17}:
 7 "Question: Let me give you an example: certainly at
 8 an early stage you were repeatedly receiving calls in
 9 your FDO role from the media?
 10 "Answer: Yes, that's correct.
 11 "Question: Was that something you could have done
 12 without?
 13 "Answer: Very much so."
 14 And if we go over the page {Day97/10:8} we can see
 15 the chairman asked:
 16 "Has that changed now?"
 17 To which the answer was?
 18 "Answer: I don't believe it has..."
 19 Obviously, Chief Inspector Sexton was simply giving,
 20 when put on the spot, what his belief was about the
 21 current state of affairs. But we can see from your
 22 timeline that May 2021 is when that designated media
 23 line came in. Would it be a correct or incorrect
 24 inference from those timings that it was following
 25 Chief Inspector Sexton's evidence that the change we can

1 see there in your timeline was made?
 2 A. Correct.
 3 Q. It was following his evidence? And was that because his
 4 evidence highlighted to the people who needed to know
 5 that particular problem?
 6 A. I think it's fair to say that we have, as I described
 7 earlier -- we've gone through a continuing -- we go
 8 through a continuous process of looking at how we can
 9 improve things. The key structural differences that we
 10 brought in have made the real difference. But we are
 11 constantly looking for areas where we can remove
 12 obstacles or make things more efficient.
 13 SIR JOHN SAUNDERS: Mr Clements, do you mind if I interrupt
 14 here for a moment? I have no doubt everyone must have
 15 been well aware of the difficulties which were caused by
 16 the press ringing directly into the FDO on any occasion
 17 which was causing some publicity and he had plenty of
 18 other things to do. Perhaps it might be fair to say
 19 that his answers provided an incentive to change them or
 20 is that being too cynical?
 21 A. It had not come across my desk, the need -- the burden
 22 on FDOs from any particular incident or any particular
 23 organisational learning debrief that we've had on any
 24 incident that a key constraint to the FDO in my time at
 25 GMP had been media calls coming through. So that had

1 not come through any specific incident, but the
 2 testimony that Chief Inspector Sexton gave was a trigger
 3 to look at the functionality.
 4 SIR JOHN SAUNDERS: Was it actually checked out then? Is
 5 this done entirely on what Mr Sexton has said in his
 6 evidence or did you find that other FDOs were actually
 7 agreeing with that?
 8 A. We undertook -- we gave the issue to a small team to
 9 look at, what the status quo was, and to come up with
 10 some scenarios of what could happen and it was important
 11 for me to get a feel of what would happen and put myself
 12 in the position of a force duty officer, in the context
 13 of the assistant being there and the FOC being there and
 14 we came up with a new design where media calls outside
 15 office hours, where the corporate communications
 16 department would not be able to field them, would be
 17 done by the force operations centre.
 18 SIR JOHN SAUNDERS: Okay, thank you.
 19 MR DE LA POER: Would you agree with these propositions?
 20 Firstly, that there's no doubt that GMP has invested
 21 a lot of time and effort in reviewing the events of
 22 22 May with a view to making improvements? Is that
 23 a fair statement?
 24 A. Yes.
 25 Q. Is it also fair to say that, from an early stage, GMP

1 had access to the transcripts of the FDO line and to
 2 Mr Sexton's dictaphone, which showed that he was
 3 speaking during that critical early period to the media?
 4 A. Yes, I understand that that's the case, yes.
 5 Q. So when you set alongside the time and the effort and
 6 the energy to make improvements, to get things right,
 7 against the fact that this was there, apparent from
 8 a relatively early stage for anybody who was looking at
 9 it and analysing it critically, again doing the best you
 10 can, bearing in mind you came in in August 2019 and you
 11 fixed it as soon as it came across your desk, how does
 12 the public understand how that problem didn't get fixed
 13 until somebody came several years later and sat in
 14 a witness box and said it out loud?
 15 A. I don't feel qualified to answer why it hadn't been done
 16 post May 2017 and pre-August 2019 because I wasn't here.
 17 As I say, no specific incident or no specific feedback
 18 from any of the force duty officers came across my desk
 19 to indicate that it was a problem at that point. But
 20 I take the point that the transcript does show
 21 a different thing from the night.
 22 Q. So might it, and you tell me if you feel qualified or
 23 whether you disagree, might it come back to the
 24 effectiveness of the debrief process, for example, that
 25 someone will need to identify it in that process in

177

1 order for action to be taken on it?
 2 A. Organisational learning is, in my judgement, really
 3 strong in GMP, probably as strong as the other forces
 4 that I've served in, and we use a structured process,
 5 which is sometimes coordinated by the College of
 6 Policing, which is good practice, and I'm confident that
 7 some of the — I'll give you an example. We're
 8 currently going through the authorisation process for
 9 version 11 of the Plato action cards and some of the
 10 changes that we are considering bringing in have been as
 11 a direct result of debriefing and organisational
 12 learning between practitioners on the use of the action
 13 cards. So I'm content that the organisational learning
 14 structures and processes are strong in GMP.
 15 Q. I am going to move to one of two remaining issues?
 16 SIR JOHN SAUNDERS: Before you do that, does it work? Some
 17 members of the press, none of whom are reporting on this
 18 inquiry, but other members of the press who aren't here
 19 sometimes find a way of getting round these sort of
 20 requirements and getting to talk to the man they most
 21 want to talk to rather than talking to the person they
 22 are meant to, so does it actually work in practice?
 23 A. I have had no information to suggest that it's not
 24 working.
 25 SIR JOHN SAUNDERS: Have you enquired —

178

1 A. We've been really clear with the press, we have
 2 a memorandum of understanding which sets out our
 3 expectations really clearly.
 4 SIR JOHN SAUNDERS: So far as you're concerned it works?
 5 A. If I'd heard of somebody going direct to the force duty
 6 officer, I would have heard about it.
 7 SIR JOHN SAUNDERS: That's very good to hear. Thank you.
 8 MR DE LA POER: I said I'd return to this and it's the first
 9 of the remaining issues I want to deal with. The
 10 setting-up, as it's been termed in our process, of the
 11 Silver room. Again, I would like to remind everybody,
 12 you included, chief superintendent, of the evidence of
 13 Ian Randall.
 14 Day 99, please, Mr Lopez, page 186, and it's line 10
 15 we'll go to {Day99/186:10}.
 16 As this is coming up, we will remind ourselves again
 17 that Mr Randall was not at force headquarters and we
 18 know he had to make a journey. But this is going into
 19 the practicalities. If we look at the question:
 20 "Question: What I was really driving at, and it'll
 21 be my bad question, Mr Randall, is whether there was a
 22 plan, so in other words, when everybody went on shift
 23 that night was it known that if there was an incident,
 24 these people will set up Silver?
 25 "Answer: No.

179

1 "Question: But it was known that somebody would
 2 need to set up Silver?
 3 "Answer: Yes, sir.
 4 "Question: But there had been no exercising as to
 5 how that might work in practice; is that correct?
 6 "Answer: Correct.
 7 "Question: And in fact, there had been — had there
 8 been any discussion about who might do it?
 9 "Answer: On the evening?
 10 "Question: Before the evening.
 11 "Answer: No.
 12 "Question: And having had the experience that you
 13 have had, do you think that having such a plan in place
 14 about the people or the roles that might be expected to
 15 be the first to go to Silver, possibly a plan with some
 16 resilience so that there were fallback options, would
 17 have helped on the night?
 18 "Answer: Yes, it would."
 19 And then the chairman intervened.
 20 SIR JOHN SAUNDERS: To ask an unintelligible question!
 21 MR DE LA POER: Sought clarity on what was plainly a bad
 22 question on my part as I conceded at line 15!
 23 But you see the point I was asking Mr Randall about,
 24 namely — again, another area of investigation for the
 25 inquiry was whether Ian Randall was the right person to

180

1 set up Silver in the circumstances he found himself in
2 and, if he was, whether the time that he left the OCR in
3 order to go and do so was the right time. I'm not going
4 to seek your comment on that at all, you weren't even
5 part of GMP at the time, what I'm looking at is the
6 current situation which is that we have within force HQ,
7 the FOC, force operations centre, which contains people,
8 including the force duty supervisor, the role that
9 Mr Randall had on the night. Does GMP have a plan as to
10 who will go and set up the Silver room should the need
11 arise?

12 A. Yes, a clear plan.

13 Q. Does that plan extend to telling individuals when they
14 come on shift, "If this occurs, you will be one of
15 the people to go"?

16 A. It does, and in fact it is prescribed in one of the
17 Plato action cards whose responsibility that will be to
18 set up the force command module.

19 Q. Does it extend to assisting with the decision-making
20 about when the person should leave? In other words,
21 should they go straightaway or should there come
22 a particular point in the incident, do they need the
23 authorisation of anybody, is that how it works?

24 A. Yes. It does, yes.

25 Q. That's all been thought about in advance, planned, and

181

1 so should it occur, people will be able to refer to an
2 action card and know what to do?

3 A. Yes, and I participated in a test of that function
4 myself.

5 Q. That's the setting up of the Silver room, as we have
6 been terming it. The final topic that I have on your
7 statement is the role of the Night Silver or the night
8 duty superintendent. Again, you will know that there is
9 an issue of whether or not Mr Nawaz, who held that role
10 on the night, should have gone to force HQ to set up the
11 Silver room or participate in that or gone to the scene.
12 Again, I'm not going to seek your comment on that. What
13 I would like to do is ask you to turn to paragraph 5(f)
14 where you deal with this in your statement.

15 Then looking at what the set-up is now, the first
16 thing we see from that, if you just have that in front
17 of you, is that unlike the position that Mr Nawaz was in
18 on the night namely that he was remote from force HQ
19 at the time, is the position now that the Night Silver
20 sits in force HQ?

21 A. Yes.

22 Q. In fact do they sit effectively with the force duty
23 officer?

24 A. They sit in the FOC a couple of desk banks down from the
25 force duty officer, yes.

182

1 Q. And I think that there are some particular operational
2 exceptions to that which may necessitate a person of
3 that rank being elsewhere for short periods of time,
4 it's to be hoped, but otherwise their usual position, is
5 it, is close to the FDO?

6 A. Yes.

7 Q. Does that mean then that they are in a position to take
8 over the unarmed side of an incident should the need
9 arise?

10 A. The night duty superintendent's responsibilities are
11 quite broad in terms of business as usual. So for an
12 example, the superintendent has responsibilities under
13 the Police and Criminal Evidence Act to perform the role
14 of the extender of custody of somebody beyond the
15 24 hours. They also have responsibilities under the
16 Regulation of Investigatory Powers Act.

17 When we have a major incident of this type, I'd
18 anticipate that the night duty superintendent would
19 fulfil an organisational Silver role, so there would be
20 a Gold on duty, which is an assistant chief constable
21 rank in GMP, and the night duty superintendent will
22 perform a Silver rank. So they would go to the force
23 command module, assist in the coordination of
24 multi-agency effort, and then at some point sit on the
25 TCG, the tactical coordinating group, with other

183

1 partners as well. So their role would be one of
2 coordinating resources, ensuring that those structures
3 were being set up for example.

4 The difference with other roles that would happen
5 is that the night duty superintendent isn't a specific
6 accredited role in the same way that a tactical firearms
7 commander or a strategic firearms commander is. They
8 are on a separate rota, so the SFC, the strategic
9 firearms commander, which would have a specific role in
10 an attack, would not be fulfilling the role of night
11 duty superintendent, they're separate. So they wouldn't
12 be doing the functions that require that accreditation,
13 firearms. Public order command is another example.

14 Q. If we were to put the names of the people that we are
15 all so familiar with from May 2017 and place them within
16 the current structure, we would have the person playing
17 Mr Sexton's role, the FDO, within force HQ; is that
18 right?

19 A. That's correct.

20 Q. A couple of desks away we would have the force critical
21 incident manager, whose duties would include those which
22 Chief Inspector Buckle, the tactical firearms commander
23 who was on call on the night, would have had. So
24 instead of being on call, the person fulfilling those
25 role is a couple of desks away from the FDO; is that

184

1 right?
 2 A. Correct. So in terms of the tactical firearms commander
 3 in a marauding terrorist attack, there would be
 4 a headquarters-based TFC, which would be the FCIM, the
 5 force critical incident manager, and the TFC from the
 6 cadre. The tactical firearms from the cadre would be
 7 deployed to the scene to be the on-scene tactical
 8 firearms commander.
 9 Q. And then --
 10 SIR JOHN SAUNDERS: Is that the same as ground-assigned?
 11 A. Yes, that's right.
 12 MR DE LA POER: In terms of the unarmed side, Mr Nawaz was
 13 not at force HQ when he first received notice. But
 14 in the current set-up his desk would also be a couple of
 15 desks away from the force duty officer?
 16 A. Correct.
 17 Q. And he would be a short walk from the Silver room,
 18 should the need arise?
 19 A. That's right. The force command module is on the third
 20 floor at headquarters so it's just a short walk down.
 21 Q. In your description, both in your statement and orally,
 22 you've described how, if that person, the night duty
 23 superintendent, was to take up a Silver role, they would
 24 go to the force command module or the Silver room. Did
 25 the plans contemplate that that person may be best

185

1 placed at the scene and therefore, if they're going to
 2 take that role up, they go to the scene, or do all of
 3 the plans send the person straight to the force command
 4 module?
 5 A. I have not seen any plan that calls specifically for the
 6 night duty superintendent to go to the scene of an
 7 attack.
 8 Q. Because the major incident plan as it existed back in
 9 2017 contemplated that the Silver commander may in
 10 certain circumstances be at the scene. That's no longer
 11 the position, is that --
 12 A. If we're specifically talking about a marauding
 13 terrorist attack, the stipulation is that there will be
 14 a ground-assigned tactical firearms commander to take
 15 command at the scene and not for any other rank of any
 16 other officer to be there.
 17 Q. Well, we'll no doubt hear from the policing experts next
 18 week as to what their view about the current set-up is
 19 and I'm sure that you and your colleagues will be
 20 listening with care.
 21 SIR JOHN SAUNDERS: I'm sure this would now never happen,
 22 but one of the things that has come out is that
 23 Superintendent Nawaz as the Night Silver -- and I'm not
 24 blaming him, it may not be his fault -- actually didn't
 25 know what Operation Plato was. Presumably you can now

186

1 assure me that any Night Silver would now be well aware
 2 of what Operation Plato was?
 3 A. I do know that all superintendents have received
 4 Op Plato training. As well as being a strategic
 5 firearms commander, I'm well aware of my
 6 responsibilities for an MTA, a marauding terrorist
 7 attack, with regard to my firearms commander
 8 responsibilities. In addition to that I've had the
 9 general training as well. So it would be my expectation
 10 that every superintendent and chief superintendent would
 11 be aware.
 12 MR DE LA POER: I would like to conclude my questioning by
 13 taking a step back because over the last 2 years
 14 you have introduced new roles, you've restructured,
 15 you have effectively re-branded a department so that
 16 everyone can understand this is different, this is
 17 better, this is improved. To what degree have you or
 18 GMP more generally shared the learning that you've
 19 derived from this and the improvements that you have
 20 made around the resilience of the FDO role more widely,
 21 nationally or to other local forces, or does all of this
 22 knowledge just remain within GMP?
 23 A. No, we've shared the journey that we've been on with
 24 other police forces in terms of the restructuring and
 25 the lessons learned. We'd share it regionally with our

187

1 partners with our regional collaboration where we have a
 2 regional firearms collaboration. But in addition we've
 3 been talking to forces wider than that around not only
 4 our current structure but also what the good practice is
 5 in testing that resilience. So we are in planning at
 6 the moment with another force from outside our region
 7 who will come in and they will coordinate a test of our
 8 resilience. So we are constantly talking and discussing
 9 in the context of what good practice is from other
 10 forces to take a look at what we've got and also sharing
 11 our experience and that extends to testing in real
 12 terms. I put in my statement some of the major
 13 incidents that have been called and how well that has
 14 progressed and been dealt with due to the force
 15 operations centre structure.
 16 MR DE LA POER: Thank you very much indeed,
 17 chief superintendent.
 18 Sir, unless at this stage you have any questions,
 19 that concludes my questioning.
 20 I think, just looking at the notifications that I've
 21 had, that it's Mr Weatherby Queen's Counsel on behalf of
 22 the bereaved families who is to ask you questions next,
 23 please.
 24 Questions from MR WEATHERBY
 25 MR WEATHERBY: Mr Clements, can you see and hear me?

188

1 A. Yes, I can.
 2 Q. Thank you very much. It would be right to say, I think,
 3 that the changes that you've described this afternoon
 4 are a sea change with respect to what was in place
 5 before your time in 2017; is that right?
 6 A. Yes.
 7 Q. And although you weren't there in 2017, you have, I am
 8 assuming, a fairly good idea of what was in place at
 9 that point?
 10 A. My understanding is I'm the fourth branch commander
 11 since the time of the attack, so I know that a number of
 12 workstreams that have led to where we are now were
 13 already in train before I started.
 14 Q. I'm not trying to catch you out with anything here, but
 15 just in general terms you know what the set-up was on
 16 22 May in respect of the OCB?
 17 A. Yes.
 18 Q. So just again in headlines, would you agree with me that
 19 the key changes from then to now are that the OCB is now
 20 managed by you as a chief superintendent whereas in 2017
 21 it was managed by a chief inspector?
 22 A. I can't answer that. My understanding was that there
 23 was still a chief superintendent responsible for the OCB
 24 at that time.
 25 Q. I see. In terms of the operation of the OCB, the key

189

1 changes, correct me if I'm wrong, are that the FDO and
 2 the team has relocated to HQ, where they are effectively
 3 co-located with the force command module?
 4 A. Correct.
 5 Q. And the FDO is now of a higher rank than in 2017 in
 6 recognition of the substantial nature of the FDO's
 7 position; yes?
 8 A. And the introduction of the assistant FDO, yes.
 9 Q. I'm coming to that. But just taking them in turn,
 10 that's a key factor, the move and the co-location and
 11 the higher rank of the FDO.
 12 Next, as you say, and we'll come to this again in
 13 a little more detail in a moment, there is now
 14 substantially more support for the FDO; yes?
 15 A. Yes.
 16 Q. That support includes the pre-determined delegation
 17 that is set out on multiple action cards?
 18 A. Yes.
 19 Q. And also a lot of work has been done on Talk Groups,
 20 particularly multi-agency communication Talk Groups?
 21 A. Yes, lots of work, yes.
 22 Q. Those are the key headline differences between then and
 23 now; is that right?
 24 A. And the existence of the force operations centre, so
 25 yes, the support that you said to the FDO yes.

190

1 Q. We'll come to that. I was including that as support,
 2 but of course you are right to mention that. And
 3 of course the other points are important, the media line
 4 and things like that, but those are the headlines; would
 5 you agree?
 6 A. Yes.
 7 Q. You mentioned in passing, I think really, the testing of
 8 the situation. In your statement you've set out that
 9 there have been a number of significant incidents or
 10 even some major incidents where you can see that this
 11 set-up has worked; is that fair?
 12 A. Yes.
 13 Q. What you haven't mentioned, so far as I can see, and
 14 you'll correct me if I'm wrong, is exercising. Is that
 15 right, you haven't mentioned whether this new,
 16 completely new set-up has been subject to a full
 17 exercise?
 18 A. I haven't mentioned that, no, but I can expand if you
 19 would like.
 20 Q. Okay. I absolutely don't want to close you down, but
 21 let me just put it in some context. Mr Pilling, the
 22 deputy chief constable, was asked about exercising the
 23 new arrangements and he, on Day 131 for anyone who's
 24 keeping a note, page 11, line 8 {Day131/11:8}, described
 25 it as it would be desirable to have an exercise, and he

191

1 said that it had been "talked about". He also said that
 2 an exercise to test the OCB arrangements should also
 3 include the way that emergency service partners fitted
 4 in to the new arrangements that had been made. So
 5 that's the context of it.
 6 Now, please tell us about exercising. First of all,
 7 has there been a substantial exercise in respect of the
 8 new arrangements?
 9 A. So the exercising regime is owned principally by the
 10 SOPU, the Specialist Operations Planning Unit, which
 11 comes under the specialist operations branch. They are
 12 responsible for a wide and broad range of exercises on
 13 a number of different subjects where the OCB and the
 14 force operations participate.
 15 A couple of examples: there are exercises that
 16 simulate multi-agency responses for incidents at the
 17 airport, for example, hijacked planes. There are also
 18 exercises that test the dissemination of information and
 19 the coordination of responses using the local resilience
 20 forum and other agencies.
 21 Another example would be an example of
 22 a multi-agency response as a result to a simulated major
 23 incident, which includes testing the dissemination of
 24 the METHANE message.
 25 That's the force. There are organisational level

192

1 exercises of which the OCB is a participant. In terms
 2 of the exercises that test it from an OCB perspective,
 3 we've got the tests that I described for the
 4 communication channels and one of those is around the
 5 dissemination of the test. There has been discussion
 6 about whether the participation of the OCB and the force
 7 operations centre in those wider multi-agency
 8 organisational level exercises is enough and we have
 9 looked outside the force to another force who have
 10 written an exercise which is specifically for their own
 11 OCB equivalent, testing their own major incident
 12 response from a solely OCB perspective, and we are, as
 13 I mentioned earlier in my evidence, in discussions with
 14 that force around how we can replicate that in GMP. But
 15 it's fair to say that there is a regular frequent
 16 programme of exercises which we participate in.

17 Q. Yes, okay. So you've talked about another force coming
 18 in at some point in the future. You have talked about
 19 specific testing, particularly with the communications
 20 Talk Groups that is an ongoing testing regime, and
 21 you have talked about specific exercises of general
 22 operation. Has there been a Plato exercise which has
 23 involved GMP and their new arrangements in the OCB and
 24 emergency service partners since 2017?

25 A. I am aware of an exercise that tested our response to

193

1 a marauding terrorist attack. I was in, because of my
 2 role as a strategic firearms commander, invited to
 3 observe it. I know there are a couple of those that
 4 have happened. I'm also aware of an exercise which was
 5 based on a marauding terrorist firearms attack, which
 6 was based in a northern district of Manchester, which
 7 was participated in by the force duty officers as well
 8 and I also participated in that. So there have been --
 9 I don't know whether there has been an involvement of
 10 multi-agency partners. As I said, the specialist
 11 operations branch is responsible for the array of
 12 different tests that the organisation does.

13 Q. I'm not trying to catch you out and it may be just me
 14 that's not understanding you and it may be that you're
 15 being completely clear here. Can I have one more go at
 16 this?

17 What I'm trying to ask you about is that you've set
 18 out, and we'll go into a little more detail in a moment,
 19 the new arrangements which are completely different to
 20 the 2017 arrangements in the OCB. And what I'm asking
 21 is whether there has been a Plato exercise which has
 22 involved the new arrangements, ie not just the FDO but
 23 the full support for the FDO and emergency service
 24 partners. Has there been an exercise which has tested
 25 the response under these new arrangements that you've

194

1 described since they've come in?

2 A. I don't think there has been an exercise. As I said,
 3 you know, there have been actual instances where a major
 4 incident has been called where the coordination between
 5 the Fire Service and the co-located NILO of the Fire
 6 Service, for example, and our communication of our
 7 messages to other agencies has been tested, but in real
 8 life. But I don't think there has been a simulation
 9 which has involved other agencies beyond the exercises
 10 that I've already described.

11 SIR JOHN SAUNDERS: We've heard a lot about an exercise
 12 called Winchester Accord. If you've been following the
 13 inquiry, you may be aware of it. That was obviously
 14 a large scale exercise involving a large number of
 15 people, it came about, I think, because a relicensing of
 16 the military was the reason for it, but nothing like
 17 that has happened, nothing on that scale?

18 A. So Winchester Accord, as I understand it, happened
 19 before I arrived, was a tabletop exercise involving
 20 different agencies based on a theoretical major
 21 incident.

22 SIR JOHN SAUNDERS: It wasn't tabletop. It was a live
 23 exercise and did show up quite a lot of problems which
 24 did recur on 17 May, problems which no one thought would
 25 actually occur. So I think the point that's being made

195

1 is until you actually do something like that, and it may
 2 be you can only do something like that when you're
 3 relicensing the military, that you actually get to know
 4 where the pinch points and the problems may be. I'm
 5 sorry to have asked that, Mr Weatherby. Is that fair
 6 enough?

7 MR WEATHERBY: My next question was about Winchester Accord,
 8 so you've gone exactly where I was going.

9 SIR JOHN SAUNDERS: (Overspeaking) ask the next question for
 10 the advocate, they enjoy it enormously. Thank you.

11 A. (Overspeaking) another exercise on the scale of
 12 Winchester Accord in the 2 years since I've been here.

13 MR WEATHERBY: The headline changes from a lay perspective
 14 look to have completely changed the way that the OCB
 15 reacts to a Plato and, from a lay perspective, one might
 16 think it extremely positive. But would you agree, until
 17 they're fully tested in a proper exercise, none of us
 18 can actually know to what extent they will work in
 19 practice? And that's why something like
 20 Winchester Accord or perhaps a Winchester Accord Plus,
 21 given that Winchester Accord didn't in fact involve the
 22 whole of the OCB, but an exercise, a Plato exercise
 23 involving partners and the new arrangements is needed or
 24 desirable?

25 A. I don't think that's the only way of testing the

196

1 structures and processes that we have now. I think
 2 there is value in testing them in real life major
 3 incidents, as I've put out in my statement. I think
 4 there's real value in that. I don't think that there
 5 have been — there's been an exercise, but as I say
 6 we are considering it and I think that there would be
 7 value in the scale of the exercise that you talk about,
 8 but I wouldn't agree with the assertion that there
 9 hasn't been testing of the structure and processes, and
 10 I would say I think the best testing is actually when we
 11 call a major incident for real. I think that's where
 12 the real value can be gleaned.

13 SIR JOHN SAUNDERS: I think we do understand but it would be
 14 nice to know it was going to work before the real
 15 incident occurred I think is the reason for having
 16 a test, Mr Weatherby.

17 MR WEATHERBY: Sorry, I thought that was to the witness.
 18 Indeed. I will move on in one moment. But we're
 19 going to, I think, look at some restricted documents
 20 tomorrow, so I'm not going to raise those with you, save
 21 to say in general terms under the new versions of Plato
 22 and JOPs, exercising is expressly mentioned, the
 23 necessity for not just review and testing but also
 24 exercising.

25 A. I think with the exception of the large scale exercise

1 simulation that you've described, there hasn't been in
 2 the past 2 years, I think that I am — I would like to
 3 get across to the inquiry that the level of testing of
 4 various components and the testing of our entire
 5 function when we call a major incident is actually
 6 quite — has been quite rigorous. The testing of the
 7 communication channels, each of them, with multi-agency
 8 partners, the testing of action cards and their utility,
 9 the constant testing and reiteration of different
 10 versions of those action cards, really crucial, and the
 11 test of our response when we call a major incident of
 12 the types that I describe in paragraph 9, I think there
 13 has been real benefit and real value from those.

14 Q. I will move on to those changes and I'll do it in short
 15 order because your statement is quite comprehensive.
 16 In terms of the support to the FDO, you have brought
 17 in the new post of an assistant FDO and that's at
 18 inspector level. So you've increased the rank of the
 19 FDO and brought in another role at the old level, if you
 20 like, the inspector level; yes?

21 A. Yes, correct.

22 Q. So just on that one change, you've effectively doubled
 23 the ranking support for that role in respect of
 24 a response to an incident like 22 May. That's without
 25 considering any of the other changes.

1 A. That's right, yes.

2 Q. The force duty supervisor, that's not a new role, and
 3 that was in existence and that's at sergeant level. But
 4 you have changed that role to give the force duty
 5 supervisor particular roles to shave off, if I can put
 6 it that way, some of the important roles from the force
 7 duty officer; is that right?

8 A. The force duty supervisor is either at police sergeant
 9 or at police supervisor sergeant equivalent, police
 10 staff level. There are now specific roles and
 11 responsibilities with regard to a marauding terrorist
 12 attack that the force duty supervisor would be
 13 expected — and that's set out on their action card.

14 Q. Yes. One of the very important roles that are now
 15 expressly delegated on the action cards to the force
 16 duty supervisor is to coordinate the mutual aid from
 17 other police forces and to notify the counter-terrorist
 18 partners; yes?

19 A. Yes.

20 Q. That takes, under the supervision of the FDO, quite
 21 a chunk of the time-consuming administrative role, if
 22 you like, of the FDO away from the FDO, and that's the
 23 purpose of doing that; is that right?

24 A. Yes, and supplemented by the responsibilities of the
 25 assistant force duty officer as well.

1 Q. Yes. Then you've brought in again the completely new
 2 role that you talked about, the FCIM, force critical
 3 incident manager, and again that's at chief inspector
 4 level. So at the level of the FDO, you've more than
 5 tripled the personpower at that level?

6 A. Yes.

7 Q. Just one detail about the FCIM that you haven't
 8 mentioned. You have mentioned that they are supposed to
 9 be fully accredited TFCs. But in your statement you
 10 refer to the majority of them being fully accredited but
 11 some are not yet fully accredited. Is this something
 12 that really ought to have been sorted sooner than
 13 4 years after the incident that we are all here looking
 14 at?

15 A. The process of accreditation for a tactical firearms
 16 commander is a lengthy one, it is pass or fail, and it
 17 comprises a College of Policing-led occupational input
 18 to a course that needs to be passed or failed as well as
 19 an operational accreditation, which is done in force.
 20 It's not until the force is satisfied with — it's not
 21 until the individual has passed the occupational element
 22 and that the force is satisfied through a process of
 23 mentoring and monitoring their firearms command that
 24 they'll be signed off operationally.
 25 Some people recruited to the FCIM role, and this is

1 the same across the country, do not pass that
 2 accreditation or their accreditation takes longer than
 3 others. But there is a plan in process, there's a plan
 4 in place for where a force critical incident manager is
 5 not a TFC at the moment. So the current situation
 6 is that two of the seven FCIMs in the force are
 7 undergoing accreditation. You will obviously be aware
 8 that there's some turnover, so it's not possible to
 9 fully accredit before we recruit into role. That's why
 10 we have this process where if an individual is not TFC
 11 accredited there is always a TFC cadre to fulfil that
 12 role.
 13 Q. That's helpful, thank you. You refer in your statement
 14 again to the force operations centre team. This is
 15 overseen by a chief inspector, has an inspector, five
 16 sergeants and ten PCs, and they support the FDO.
 17 Can you just clarify that for us? This is in addition
 18 to the FCIM and the assistant FDO and the FDS? This is,
 19 I think you called it a secretariat before; is that
 20 right?
 21 A. As I say, part of my job is to put in place structures
 22 and processes and then monitor them to see the efficacy
 23 of them in progress. What became clear is that one of
 24 the superintendents in the OCB is responsible for line
 25 managing the chief inspectors. That in terms of a span

1 of responsibility and control is quite significant given
 2 there are eight FDOs, seven FCIMs and the other
 3 chief inspector.
 4 So we listened to the experiences of the FDOs and
 5 the FCIMs and the broader teams, so the one inspector,
 6 the six sergeants, the 15 PCs that make up the core FOC
 7 team, and there was definitely a need for another
 8 chief inspector to sit and look at the coordination of
 9 shift patterns, welfare and well-being, resourcing,
 10 training, et cetera. That's the role of that
 11 chief inspector: they don't fulfil an operational role
 12 in a major terrorist attack. In a marauding terrorist
 13 attack, they don't cover for FCIMs or FDOs, there's
 14 a separate role, which is -- it is looking at the
 15 administration and the organisation of the force
 16 operations centre.
 17 Q. And the utility of that in terms of what we're
 18 discussing here is partly it takes away the
 19 administrative roles that might otherwise get in the way
 20 of a Plato response?
 21 A. It certainly has taken away some of the administrative
 22 burden of FCIMs and force duty officers from, for
 23 example, the organisation of their shift patterns, leave
 24 and training, for example. So the recruitment as well,
 25 which had been done by that team hitherto, so it has

1 reduced that burden as well.
 2 Q. Does this secretariat have a role in terms of the
 3 setting-up of the force control module?
 4 A. The FOC core team -- the responsibility of an individual
 5 PC would be to set up the force command module. That's
 6 tested on a weekly basis and it's set out in one of the
 7 action cards as well.
 8 Q. Yes. Just finally on these changes to the FOC, the
 9 co-location of emergency service partners. Am I right
 10 that the Fire and Rescue Service are permanently
 11 staffing a seat within the FOC during normal business
 12 hours and provide a real contact number out of hours?
 13 A. Correct.
 14 Q. And that means that they are embedded within the
 15 responding team and familiar with the IT and things like
 16 that?
 17 A. Correct.
 18 Q. Can you help us with NNAS? Does the same apply with
 19 NNAS?
 20 A. There's slightly more complexity with NNAS because they
 21 cover different police forces, so the NNAS decision has
 22 not been to co-locate their NILO in the GMP force
 23 operations centre in the same way that
 24 Greater Manchester Fire and Rescue Service has.
 25 However, the force operations centre are furnished daily

1 with names and the contact number of the NNAS NILO.
 2 Q. So for resourcing reasons, NNAS aren't staffing their
 3 position within the OCB room, but they have done the
 4 next best thing, which is provide real contact details?
 5 A. I don't feel qualified to answer on behalf of NNAS as to
 6 the decisions they've made, but we have -- if you
 7 imagine the force operations centre, there's a board
 8 there, where I have been in only last week and I've seen
 9 that day's NNAS named NILO liaison officer.
 10 Q. So you're confident that the improvement in terms of the
 11 emergency service partners is that you either have
 12 somebody from the Fire and Rescue Service there or
 13 you have the real ability to contact key personnel with
 14 whom to coordinate a response?
 15 A. Yes, and the understanding of how to contact NNAS, for
 16 example, the NILO from NNAS is shared across the force
 17 operations centre. Yes, I'm comfortable.
 18 Q. Finally, can I move on to communications, and can
 19 I just -- I don't want to go into any detail here, but
 20 can you just -- again I'm not sure whether it's just me
 21 or whether it is complicated, but there seemed to be
 22 a number of different Talk Groups. There certainly were
 23 Talk Groups in existence in 2017 and we've heard a deal
 24 of evidence about that. I'm not going to ask you about
 25 that. But for one reason or another, they weren't used

1 between GMP and the emergency service partners.
 2 Now there appear to be quite a number of different
 3 Talk Groups and from your statement, from paragraph 11
 4 onwards, there appears to be a police Hailing group, an
 5 operational multi-agency Hailing group, a tactical
 6 multi-agency Talk Group, and a regional multi-agency
 7 control room Talk Group. Have I correctly listed four
 8 different Talk Groups there?
 9 A. I think my statement points out that there are Five Talk
 10 groups and on the operational multi-agency Talk Group,
 11 paragraph 12(c), there are three available channels on
 12 that Talk Group.
 13 Q. Is there a danger here -- again I don't want to delve
 14 into detail that we don't need to go into -- but is
 15 there a danger here where we have the experience of an
 16 event where there was, certainly on one view, a complete
 17 failure to set up multi-agency communications, is there
 18 a danger of overcomplicating it with so many different
 19 Talk Groups?
 20 A. The way we get around any difficulties in understanding
 21 which Talk Group is that the principal Talk Group in
 22 a major incident is this regional multi-agency control
 23 room Talk Group. That is the principal and the first
 24 route by which we disseminate the situation, the
 25 incident, to other partners in the region. And as

205

1 a result of that, we appoint different operational level
 2 commanders, and the other Talk Groups facilitate the
 3 management of the major incident.
 4 So at the point at which a major incident is called,
 5 the control rooms, this regional multi-agency control
 6 room Talk Group is the most important Talk Group and
 7 that is stipulated in the action cards, for example,
 8 there is a broad understanding if that is where that
 9 first message is circulated.
 10 For example, we talked earlier about
 11 a ground-assigned tactical firearms commander. That
 12 tactical firearms commander, on the scene, in
 13 conjunction and coordination with their counterparts
 14 from, for example, NWAS and the Fire Service, will use
 15 the multi-agency tactical Talk Group for the tactical
 16 level coordination of the operation. Given the fact
 17 that there may well be different scenes, there is a need
 18 to ensure that there are a number of Talk Groups
 19 available for contingencies. For example, one of the
 20 contingencies might be that there is a need -- if there
 21 is a large cordon, for example, there may be a need for
 22 some multi-agency discussions around the cordon. In the
 23 rendezvous point there may well be the need for some
 24 multi-agency channels to coordinate the reception for
 25 different agency staff or equipment. If there are

206

1 casualties there may be a separate Talk Group and it may
 2 well be -- multi-agency needed for the coordination of
 3 those casualties. Those are all operational level
 4 necessities that will utilise these different Talk
 5 Groups.
 6 Q. So primarily it's the regional multi-agency control room
 7 Talk Group which links to the main emergency service
 8 partners and surrounding police forces? That's the
 9 central multi-agency Talk Group which is essential for
 10 interoperability?
 11 A. Yes. The first one, the principal one, and the one
 12 that's (overspeaking).
 13 Q. And then perhaps the second most important is the
 14 tactical multi-agency Talk Group, which is of use to the
 15 tactical commanders on scene; is that right?
 16 A. Yes.
 17 Q. And then after that, as you've just explained, there is
 18 the need for other Talk Groups as the need arises?
 19 A. That's right. I've set them out in my statement for
 20 completeness, really. It might assist the inquiry if
 21 I talk about the first one, the police Hailing Talk
 22 Group. This is a Talk Group that other forces will
 23 have. If there is a police pursuit, for example, which
 24 is nearing a border of Greater Manchester, another force
 25 coming into our area could call up on that Talk Group to

207

1 advise us and we could coordinate a response on that
 2 basis. That happens across the country.
 3 SIR JOHN SAUNDERS: And that's been going for long time?
 4 A. Yes.
 5 SIR JOHN SAUNDERS: Just unfortunately it wasn't known to
 6 BTP, as I understand it, at the time.
 7 A. I can't comment on that. I can comment on the fact that
 8 they do know about it now.
 9 SIR JOHN SAUNDERS: Thank you.
 10 MR WEATHERBY: That's very helpful. Finally on this, is
 11 this an example where exercising would be very
 12 important, the number of potential Talk Groups and who
 13 uses them and where they use them? Is this not
 14 precisely the sort of thing that ought to be subjected
 15 to a multi-agency Plato exercise with the involvement of
 16 the OCB?
 17 A. I think I talked and described in my statement the
 18 routine and frequent testing of the channels themselves
 19 and they are multi-agency participants in those tests.
 20 I think if we had an exercise -- when we do an exercise
 21 of the scale that you're talking about, they would play
 22 a part in that, of course.
 23 Q. Yes. I said that was my final point. There is just one
 24 more I want to touch on. You have indicated that the
 25 current policy is that the FCIM will take over as the

208

1 TFC at the HQ in a protracted spontaneous firearms
 2 incident or a Plato; yes?
 3 A. Correct.
 4 Q. And the duty cadre TFC or the on-call cadre TFC will be
 5 sent to scene to be the ground-assigned TFC?
 6 A. That's correct.
 7 Q. That's the current policy as you understand it and as is
 8 set out in the OCB action cards, I think.
 9 In terms of the TFC going to the scene, the TFC
 10 would be expected to use the tactical multi-agency Talk
 11 Group; is that right?
 12 A. The TFC ground-assigned will be with their -- will be
 13 monitoring the multi-agency tactical Talk Group.
 14 They'll also have a firearms channel as well.
 15 Q. I was just about to say, they will also be using the
 16 firearms channel because of course they are the
 17 commander for the -- the tactical commander for the
 18 firearms operation. But do they also need to use the
 19 non-firearms channel for any command duty they may have
 20 over unarmed officers or don't you know?
 21 A. I think I'm not best qualified to answer the specific
 22 questions around a TFC and how that would work in
 23 practice.
 24 Q. Okay.
 25 SIR JOHN SAUNDERS: But it's a fair point, isn't it, that

209

1 you'd also find it useful to have a number of Talk
 2 Groups, but then you may find individuals who need to be
 3 on a number of Talk Groups, which actually becomes
 4 impossible and sometimes they need to switch one off in
 5 order to go on the other. So it can be tempting to have
 6 lots of Talk Groups, but it may not in the end work most
 7 efficiently.
 8 A. There are... I can talk most in terms that I'm more
 9 comfortable with in how it works in OCB.
 10 SIR JOHN SAUNDERS: Okay.
 11 A. So we have access to these Talk Groups, but it's not the
 12 force duty officer, as the initial tactical firearms
 13 commander, monitoring all of these Talk Groups, which
 14 wouldn't be practicable. It wouldn't be practical if
 15 they are commanding that firearms incident. So in the
 16 FOC we have various roles which are assigned where
 17 individual teams are monitoring different channels, the
 18 AFDO, the FDS and the Team 3 operators as well.
 19 SIR JOHN SAUNDERS: So you can do that, but obviously for
 20 operational officers at the scene, that becomes
 21 impossible?
 22 A. Well, the TFC -- I know that the TFC, once
 23 ground-assigned -- and again there would be others who
 24 would be able for the inquiry to go into more detail,
 25 but have advisers there and a loggist. So there are

210

1 other roles there that wouldn't be just the TFC.
 2 SIR JOHN SAUNDERS: Thank you.
 3 MR WEATHERBY: Yes. Those are my questions. Thank you very
 4 much.
 5 SIR JOHN SAUNDERS: Thank you very much, Mr Weatherby.
 6 MR DE LA POER: Sir, we've been going slightly longer than
 7 90 minutes so far, but Mr Suter has contacted the
 8 transcriber, who has very kindly indicated a willingness
 9 to continue, so could I conclude by calling upon
 10 Mr Horwell QC on behalf of GMP.
 11 SIR JOHN SAUNDERS: I am very grateful to the transcriber,
 12 as ever. Thank you.
 13 Mr Horwell.
 14 Questions from MR HORWELL
 15 MR HORWELL: I will be as quick as I can. I'm very grateful
 16 too.
 17 The topic of Talk Groups. You have been asked
 18 whether or not there is the possibility for confusion
 19 because of the number. There are six Talk Groups with
 20 which we have become familiar. There are the two
 21 Hailing channels, the police Hailing channel and the
 22 multi-agency Hailing channel, both in existence at the
 23 time of the attack and they had been in existence for
 24 some time before.
 25 In addition, there are four other Talk Groups about

211

1 which we have heard. One is referred to as the tactical
 2 Talk Group and this was available at the time of the
 3 attack. It was being considered at the time of the
 4 attack as the channel to link control rooms and went on
 5 to become that channel.
 6 Then finally, there are three Talk Groups that are
 7 referred to as the operational channels and those three
 8 are the three Talk Groups referred to in Mr Sexton's
 9 aide-memoire. So those are the ones about which we have
 10 heard and, no doubt, if matters hadn't changed, the
 11 tactical Talk Group, which became the link between the
 12 control rooms, would still be used for that purpose.
 13 But there was a change to police procedure and we may
 14 hear something of this tomorrow from Richard Thomas.
 15 You won't have seen this, but one of the documents
 16 in his evidence proposal is a letter from Lucy D'Orsi,
 17 then the deputy assistant commissioner, dated
 18 December 2020. It refers to communication connectivity
 19 between control rooms, reflecting recent changes to
 20 Operational Communications in Policing -- and the
 21 acronym for that is OCIP -- guidance regarding how the
 22 three emergency service control rooms communicate with
 23 each other.
 24 So this Talk Group, the one you have referred to as
 25 the regional multi-agency control room Talk Group was

212

1 the one that was introduced after this attack and was
 2 that a national -- I'm not suggesting the channel is
 3 national because it would be very much regional, but was
 4 that a national recommendation?
 5 A. That's my understanding, yes.
 6 Q. So after this attack, notwithstanding the efforts that
 7 GMP had made, together with other emergency services,
 8 there subsequently was a national recommendation which
 9 has resulted in the regional multi-agency control room
 10 Talk Group?
 11 A. Correct.
 12 Q. You've been asked about exercising and you've been asked
 13 about Winchester Accord. You weren't at GMP at the time
 14 of that exercise and apart from whatever you might have
 15 heard about it in the course of this inquiry, you know
 16 nothing about Winchester Accord?
 17 A. No.
 18 Q. One of the problems with it could be said to be the fact
 19 that it didn't replicate what would happen in real life.
 20 You've been asked about exercises and whether or not
 21 it would be possible to replicate the current set-up in
 22 the operation room. Unless it's identical, it's not
 23 going to be a test of the current set-up. This may be
 24 or it may not be a matter about which you have
 25 considered in the past, but is that a viable proposition

1 to replicate the control room as it currently stands?
 2 A. In its entirety and to maintain daily business, no.
 3 Q. You have said that in your view -- everyone accepts the
 4 importance of exercising, so don't misunderstand the
 5 questions that I ask. But you have said that the action
 6 cards, for example, are frequently tested and feedback
 7 is used to update them, and we're currently on the tenth
 8 version --
 9 A. Yes.
 10 Q. -- and an 11th version is under review at the moment.
 11 A. Correct.
 12 SIR JOHN SAUNDERS: I understand entirely what you say about
 13 the difficulty of replicating for an exercise something
 14 when you've got -- it's business as usual going on as
 15 well. One of the criticisms of Winchester Accord has
 16 been that it didn't include the call-out, so it didn't
 17 actually start from the beginning, and by and large
 18 people have agreed that it would have been a very good
 19 idea if it did. Are you saying that's therefore
 20 impossible to do, you cannot exercise the call-out?
 21 A. No. We undertake a number of exercises that I have
 22 described. So we have the exercise where we simulate
 23 a Plato event and that message is disseminated to the
 24 call handlers and to the crime recorders and to the
 25 radio channels, both the radio channel that is the

1 specific site of the simulated attack and all of the
 2 other radio channels as well. There are slightly
 3 different responsibilities and roles for each action
 4 cardholder depending on where they sit and we do that
 5 during daily business.
 6 We also go through the exercises of testing the
 7 radio channels, as we talked about, the Talk Groups, and
 8 also testing of the setting-up of the force command
 9 module. That all happens during daily business. So
 10 there is scope to do the exercises while we are
 11 having -- I think there would be... if we... As the
 12 question was put to me, if we tried to replicate
 13 entirely using the same number of staff in a separate
 14 exercise for any length of time it would present
 15 challenges due to the need to fulfil operational
 16 business.
 17 SIR JOHN SAUNDERS: Okay. So you pick a time when you can
 18 predict it will be particularly light? It must be
 19 possible. You may not be able to get exactly there, but
 20 everyone's emphasised to me continually the need for
 21 exercising and exercising with as many people as
 22 possible, and no one's said, "Well, actually, you can't
 23 do it".
 24 A. No, I'm not saying that it can't be done. This is my --
 25 we haven't done the detailed planning about what this

1 would look like yet, but we would probably abstract
 2 a certain number of individuals to perform the roles,
 3 the certain roles that would be performed in a force
 4 operations centre if we had an attack, and we would
 5 backfill their roles with other individuals when we did
 6 that exercise.
 7 SIR JOHN SAUNDERS: Okay, thank you.
 8 MR HORWELL: So you've referred to frequent testing of the
 9 action cards and in your witness statement -- I'm not
 10 going to take you through all of it, obviously, it is
 11 there in evidence for us to refer to in the future. But
 12 at paragraph 9 of your witness statement, you have
 13 written:
 14 "Since its inception in July 2020, the FOC has set
 15 up the FCIM on five occasions in relation to the
 16 following incidents: a large industrial fire, a chemical
 17 leak, a suspected terrorist attack involving a fake
 18 suicide vest, an illegal rave, and an incident involving
 19 an organised crime group in possession of weapons."
 20 So it has been tested in real life?
 21 A. Correct.
 22 Q. Was it found fit for purpose?
 23 A. It was.
 24 Q. You were asked as to whether or not there was
 25 a chief superintendent responsible for the OCB at the

1 time of the attack. In evidence your reply was that you
 2 thought that there was and indeed it is Chief
 3 Superintendent Hill who was responsible for the OCB
 4 at the time of the attack.
 5 SIR JOHN SAUNDERS: Sorry, just before you continue with
 6 that. Do you happen to know — I mean, obviously it's
 7 going to be a chief superintendent or someone of that
 8 sort of rank overall in charge. But degrees of being in
 9 control can vary. Was he as hands-on with it as
 10 you have been?
 11 A. I can't answer that.
 12 SIR JOHN SAUNDERS: Or, because of the problems which were
 13 experienced in May 2017, more significance has been
 14 given to it?
 15 A. I can't answer that, I'm afraid.
 16 SIR JOHN SAUNDERS: Okay, thank you.
 17 Perhaps you can tell me at some stage, not you
 18 personally, but perhaps GMP could tell me whether it's
 19 really carrying out exactly the same function.
 20 MR HORWELL: I'm confident in saying the answer to your
 21 question must be yes, but I can't say that —
 22 SIR JOHN SAUNDERS: Because you don't like to ask a question
 23 you don't know the answer to.
 24 MR HORWELL: I can't say that formally but I will get
 25 confirmation. It's common sense, it must have made

217

1 a difference and one would hope that it did.
 2 You were asked a number of questions about Silver
 3 and the fact that the Night Silver, the night
 4 superintendent, under the plans that have been drawn up,
 5 would remain at force headquarters if there was another
 6 attack.
 7 A. Correct.
 8 Q. I'm not going to take you to the detail of the action
 9 cards, but under the proposals now in force the initial
 10 police on-scene commander, so the police on-scene
 11 commander before the GATFC, under the plans set out, the
 12 initial police on-scene commander would be the duty
 13 inspector?
 14 A. Correct.
 15 Q. And that is set out, I think, on at least two of the
 16 action cards that are appended to your statement. You
 17 were asked a number of questions about media calls and
 18 what happened on the night.
 19 Sir, there certainly were media calls to the
 20 operations room. It is very much my understanding, both
 21 of the dictaphone and of the enormous sequence of events
 22 that is available, that none of those calls were taken
 23 by Sexton. I will check that and again confirm, but
 24 that is very much my understanding of the evidence.
 25 SIR JOHN SAUNDERS: Thank you very much.

218

1 MR HORWELL: Mr Clements, thank you very much.
 2 SIR JOHN SAUNDERS: Thank you.
 3 MR DE LA POER: Sir, unless you have any questions, that
 4 concludes this witness's evidence.
 5 SIR JOHN SAUNDERS: No, I don't.
 6 Thank you very much for the very clear evidence
 7 you have given us, which has been readily understood, so
 8 thank you very much.
 9 MR DE LA POER: That just leaves the arrangements for
 10 tomorrow as that concludes the live evidence for today.
 11 I think it's 9.30 starting with Mr Thomas.
 12 SIR JOHN SAUNDERS: Thank you.
 13 (4.28 pm)
 14 (The inquiry adjourned until 9.30 am
 15 on Tuesday, 7 September 2021)

219

1 I N D E X

2

3 MR GERARD BLEZARD (sworn)2

4 Questions from MS CARTWRIGHT2

5 Questions from MR GOZEM89

6 Questions from MR ROBERTS117

7 Further questions from MS CARTWRIGHT149

8

9 CHIEF SUPERINTENDENT PAUL CLEMENTS152

10 (sworn)

11 Questions from MR DE LA POER152

12 Questions from MR WEATHERBY188

13 Questions from MR HORWELL211

220

221